

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46

UNITED STATES OF AMERICA
NATIONAL TRANSPORTATION SAFETY BOARD
OFFICE OF MARINE SAFETY
QC

- - - - -x
In the Matter of: :
: :
MAJOR MARINE ACCIDENT :
COLLISION - JAPANESE FISHERIES : NTSB Project ID
TRAINING VESSEL EHIME MARU AND : No. 51701
U.S. NAVY NUCLEAR ATTACK : DCA01MM022
SUBMARINE USS GREENEVILLE :
- - - - -x

Tuesday,
February 20, 2001

Interview of
LT. ROBERT A. RONCSKA, USN

CONDUCTED BY:
TOM ROTH-ROFFY, NTSB
BILL WOODY, NTSB
LT CHARLIE JOHNSON, USCG
LTJG KEN KUSANO, USCG
CAPT TOM KYLE, USN
CDR JOHN CACCIVO, USN
LCDR RICH SANTOMAURO, USN
LT DOUG HEDRICK, USN

P R O C E E D I N G S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26
27
28
29
30
31
32
33
34
35
36
37
38
39
40
41
42
43
44
45
46

LT. RONCSKA: I'm Lieutenant Robert Roncska.

MR. ROTH-ROFFY: Good morning, sir. My name is Tom Roth-Roffy an accident investigator with the National Transportation Safety Board.

I and several other investigators are here investigating the accident that occurred between the USS GREENEVILLE and the fishing vessel EHIME MARU that occurred on February 9, 2001.

For your information, the Safety Board is a Federal Government agency charged with investigating marine accidents that occur on the waterways of the United States. The purpose of the Safety Board's investigation is to determine the cause of the accident that occurred with the GREENEVILLE and to make recommendations aimed at preventing the occurrence of future similar accidents.

We make no effort to assign blame to any person, nor do we have authority to penalize any person for their involvement in any accident. Our investigation is strictly a safety investigation and not a legal investigation.

If you desire, you may have another person assist you with interview. Would you like to have somebody help you?

LT. RONCSKA: No.

MR. ROTH-ROFFY: Also joining me in this interview are representatives from the United States Coast Guard and the United States Navy, and I would like to ask them to introduce themselves at this time.

MR. WOODY: Bill Woody, NTSB.

LT. JOHNSON: Lieutenant Charlie Johnson, United States Coast Guard.

LT. KUSANO: Lieutenant JG Ken Kusano, United States Coast Guard.

COMMANDER CACCIVIO: This is Commander Caccivio from the U. Navy. And also will be -- possibly in the room Lieutenant Doug Hedrick from the U.S. Navy also. And Lieutenant Commander Rich Santomauro is standing just over here to our right.

MR. ROTH-ROFFY: Okay. With the introductions having been finished, I'll lead off with the questioning. And the way we normally do it is I'll ask a line of questions and I'll pass it to the next

1 fellow, and it will kind of go around in a circle. And
2 then we might make a second round if we have any
3 follow-up questions for you.

4 So, sir, would you kind of lead off by
5 telling us what your duties are and kind of your
6 background that brings you to this place?

7 LT. RONCSKA: Sure. I was commissioned as a
8 line officer in May of '91. From there I went to the
9 nuclear pipeline which consisted of nuclear power
10 school for six months; prototype, which is also
11 additional six months; and then to SOBC, which stands
12 for Suubmarine Basic Course - Submarine Officer Basic
13 Course, up in Groton, Connecticut, for approximate
14 three months.

15 Then I was assigned to the USS WEST VIRGINIA
16 as a junior officer in November of '92. Was there for
17 approximately three years. And then I went on to my
18 shore duty assignment, which was an instructor division
19 officer at Naval Nuclear Power Training Command in
20 Orlando, Florida. And I was there for approximately
21 two and a half years. And after that, I went to SOAC,
22 which stands for Submarine Officer Advanced Course.
23 It's a continuation of the SOBC course, but more
24 advanced. That was for approximately six months. And
25 I reported to USS ASHEVILLE as the navigator,
26 operations officer in July of 1998. I've been as a
27 navigator, operations officer for about two years and
28 seven months.

29 And during that time on board, I've conducted
30 one Western Pacific deployment; conducted several
31 operations consisting of trips to San Diego to SEAFAC,
32 Eskimo, Canada or Eskimo, and went to -- conducted this
33 WESTPAC with the SENIS Power Group.

34 That's basically my role as a submarine
35 officer.

36 And as navigator, operations officer, I was
37 responsible for all the day-to-day operations of the
38 ship, as far as planning where we go and how we get
39 there and the track plan. I'm responsible for
40 navigation to the commanding officer and the safety of
41 the ship with respect to track plan, to make sure the
42 ship doesn't ground and contact avoidance.

43 MR. ROTH-ROFFY: And during your service
44 aboard submarines, approximately how many commanding
45 officers have you served under?

46 LT. RONCSKA: I have served under four

1 commanding officers; two on the WEST VIRGINIA, and this
2 is my second CO commanding both on the USS ASHEVILLE.

3 MR. ROTH-ROFFY: And could you in general
4 terms speak to what your experience is on how you go to
5 periscope depth and what procedures you would normally
6 follow, and whether or not they vary from boat to boat.
7 Say from going from some submerged depth up to
8 periscope depth, what do you have to do to make that
9 happen?

10 LT. RONCSKA: First, you have to plan. You
11 have to proceed to periscope depth periodically to
12 conduct an evolution, such as clear the broadcasts.
13 Then we -- whatever needs to be done on a periodic
14 basic.

15 What you need to do first is figure out when
16 you have to go to periscope depth and there's certain
17 things you need to take into consideration. One is
18 being the time of day. Do you need to rig the control
19 room for a low level light situation so you're not
20 blinded as you look out the periscope. It's not an
21 issue if it's daylight because you can read the control
22 room with the light.

23 Other thing is you need to prepare the
24 control room for periscope depth operations, which
25 consist of we have this system called racks. It's an
26 underwater telephone system. You turn that up so you
27 can hear, so if there's a close contact, you hear it.

28 You also have to turn up this microphone or
29 speaker, which is our early warning speaker for ESM.
30 Any platform that emits radar, we can pick that up with
31 an early warning detection system and you can hear it
32 if you're at periscope depth. And you test that prior
33 to proceeding to periscope depth.

34 And there's other factors to make sure that
35 the periscope is ready to go as far as the torque
36 assist is on and the head window here is not on and is
37 not required, and check. Things like that.

38 We normally do not energize our video camera
39 system. We have a video taping system on board. It is
40 not normal practice for us to energize that prior to
41 proceeding to periscope depth because we don't expect
42 something. If we expected something, we would energize
43 it prior to, but we normally do not energize that.

44 Once we're ready to go to periscope depth, we
45 conduct a brief with all the watchstanders involved.
46 We conduct it with the control room parties, the diving

1 officer, the people who work from and are stationed
2 there in the helm of the plane's chief of ops. And
3 also, the ESM operator. In our standing orders, he's
4 required to look at what contacts are expected, what
5 threat emitters are out there. It varies from
6 aircraft. Potentially, it's hazardous to submarines as
7 far as in a wartime situation. Also you used to look
8 at any land based emitters, how close we are to land so
9 we can pick up threat emitters and so forth.

10 Also, the radio supervisor is also present
11 for this brief to brief the COM plan on how we're going
12 to get our messages, what time we need to get the
13 messages and so on, what circuits we need to bring up
14 and the purpose for proceeding to periscope depth.

15 Also, there's the auxiliary electrician corps
16 which is another watchstander, which is -- he's in
17 charge of the inertial navigation systems, to ensure
18 that we can enter a GPS fix into our inertial
19 navigation systems when we're at periscope depth.

20 Once the -- and the other main player is the
21 sonar supervisor, which will also discuss what contacts
22 we expect and we'll discuss which contacts we've seen.

23 We'll also discuss if there is a merchant lane or some
24 high traffic area that we have to watch out for or if -
25 - and it depends on what operation we're doing. For
26 example, if we're coming in with another submarine and
27 his surface point was near ours -- not in the same
28 water but we could expect to see him, we'd make sure
29 that our water on the surface be -- we'd basically
30 separate the water so we don't interfere with one
31 another.

32 We look out. We'll brief. If we expect
33 another submarine to be in the area we'll brief that we
34 can expect him. And what we have done in the past is
35 if we know we're going to be in close proximity -- and
36 which close proximity means 10 miles away from the
37 submarine -- we'll ask them to go active on sonar just
38 to let us know where they're at as far as bearing so
39 you can get better idea of where they're at, since
40 warships are normally very, very quiet and they are
41 very, very dangerous to be around in the event you're
42 coming up to periscope depth because they are so quiet.

43 But merchant ships, you normally can pick them up.

44 Once the briefs have been conducted, I will
45 come up to 150 feet and our policy is to be at 150 feet
46 for a couple of minutes to give the sonar supervisor

1 time to conduct a thorough search on that bearing. And
2 then once he conducted a search on that bearing --
3 which is basically 240 degrees. We can't see behind us
4 with the sphere. Once he's conducted that search he
5 will inform me that he has conducted a baffle clear and
6 hold the following contacts. Once he reports the
7 following contacts, we will stay in that leg to get
8 enough data so we can get a leg on those contacts so we
9 can input into the fire control system. Which
10 basically, our computer can tell us distance, range and
11 of course, the speed of all contacts.

12 Once that is accomplished and we get a
13 sufficient leg, I will maneuver the ship. Depending on
14 if I maneuver to the left or the right will depend on
15 where these contacts are and so I don't put them in the
16 baffles if I can help it.

17 Then I'll maneuver the ship 120 degrees to
18 look -- to ensure there's nothing in my baffles that
19 weren't there before.

20 Once I conduct a baffle clear we do another
21 sonar search and he reports any new contacts. If there
22 are any new contacts then we'll conduct a leg. We'll
23 maneuver again on these other contacts to make sure
24 they're not close. Once I'm satisfied with conducting
25 legs and knowing where all the situation -- where all
26 the contacts are, I will -- if there are a significant
27 amount of contacts, what we like to do on the
28 ASHEVILLE, Commander Engles, I'll just call him up and
29 said, Captain, sir, I hold six contacts. Request you
30 come to the COM -- before I even get permission to go
31 to periscope depth.

32 He'll come to the COM, look at the ASVDU,
33 which is a screen of control, and I'll tell him exactly
34 how I maneuvered. He'll look. With his experience, he
35 can tell if they're close or not.

36 If there's one or two contacts, I'll just
37 report those contacts. A standard report is: Sir, I'm
38 on course 180, speed all ahead one-third, depth 150
39 feet. I conducted a baffle clear to the left with the
40 following sonar contacts. Hold S27 bearing, range.
41 This contact is in excess of 10,000 yards based on the
42 baffle clears on the left drawing left. Also hold S26
43 bearing, range. This contact is on the right drawing
44 right in excess of 10,000 yards based on the baffle
45 clear. Request permission to proceed to periscope
46 depth to whatever we had planned, not only with the

1 broadcast and so forth. And if he's satisfied, and
2 again, depending on the level of experience of the
3 officer on deck, and if there's one contact, two
4 contacts, he may or may not come to control to observe
5 the ascent to periscope depth.

6 And again, it depends on the experience of
7 the officer deck and how many contacts we actually
8 have. If we're in the middle of the ocean and hold no
9 contacts, he probably won't come to the control and
10 look at the ASVDU. But if we have more than one
11 contact and we're near land, he will most likely come
12 to the control room to look at the contacts.

13 Then I'll get permission to proceed to
14 periscope depth. I inform maneuvering that we're
15 proceeding to periscope depth to ensure that they don't
16 call up on the microphone or announcing circuit to ask
17 for something. It's very quiet in control. When I
18 actually say raise the number two scope and when I say
19 I'm proceeding to periscope depth, someone talks in
20 control, they will be talked to later, saying that this
21 is inappropriate, talking during periscope depth.

22 And the reason for that is because there's
23 only two things that are said when the scope breaks the
24 water after I've conducted my initial searches. One of
25 the two things that are said is either there are no
26 close contacts or emergency deep. Those are the two
27 key words that I will say before anybody talks in the
28 control room.

29 No close contacts gives the free will of
30 everybody to report their contacts. If I say emergency
31 deep, it's a key word to let everybody know in the
32 control room that there is a close contact, which means
33 we need to get down as soon as possible. As soon as I
34 say emergency deep, I will immediately lower the scope.

35 The helmsman will automatically ring up ahead full.
36 And then I will automatically proceed to 150 feet. And
37 that's our way to get as deep as possible as fast as
38 possible to avoid collision.

39 And so assuming there is no close contacts,
40 say no close contacts after conducting two or three
41 sweeps, low power, and conduct an aerial search. And
42 then the ESM operator will report no close contacts or
43 I'm holding close contact bearing such-and-such. And
44 then he is quiet. And then that is his defense search,
45 the ESM operator.

46 Sonar will report any contacts that came up

1 during the ascent that we didn't know about before,
2 which is very infrequent.

3 And then what I'll do is after I conduct the
4 three searches, my next concern is the sonar contacts.

5 I will tell fire control who is basically by right-
6 hand man to figure out who and what is out there.

7 I will say fire control, train number scope
8 to the bearing of Sierra 25, which we held, and so on.

9 And I'll say train number two scope to bearing Sierra
10 25-Aye 325. You're on bearing 180. Come right X
11 amount of degrees. And you'll copy down you're at 300,
12 310, 320, mark. You're on 325, turn left. Bear 327.
13 And I'll sweep that area to look for that sonar
14 contact.

15 Once I verify there's no contacts distant or
16 not just there -- it's just so distant that I can't see
17 him, I will go on to the next sonar contact. And then
18 the round of contacts to make sure I'm clear with the
19 sonar contacts, I will start my normal search to look
20 for contacts which consist of 45 seconds of low power
21 search and then 45 seconds of high power search in a
22 certain quadrant. And I'll cover those four quadrants.

23 And again, it depends. With the commanding
24 officer's discretion, we may change how we conduct our
25 visual searches. For example, if visibility is less
26 than 3,000 yards, which we've had in certain areas, it
27 does us no good to do a high power search because if
28 you're in high power, it just seems like you can't see
29 anything. It doesn't do good for you.

30 So for the safety of the ship, if the ship
31 were to come out at 3,000 yards doing 20 knots, we'll
32 immediately go to a continuous low power search and
33 just continuously look and continuously look around in
34 low power to look for those contacts coming out. In
35 those situations, we'll have another person stationed
36 normally to look at the sonar screen. This is the
37 sonar supervisor. Look. See if something is breaking
38 out of the sonar system so we can quickly look at that
39 bearing to see where this guy's coming from so we can
40 make a judgment call to come right, come left, to avoid
41 this contact.

42 And then once we -- and again, depending on
43 what depth I order, normally in the daytime we're at 60
44 feet for stealth of the submarine. But if we're in a
45 non-threat condition, we'll come up to 58 feet. And
46 again, it depends on a lot of things as far as the sea

1 state or what we expect the sea state to be. If I
2 can't see at 60 feet, I'm not going to stay at 60 feet
3 to see a contact. The safety of the ship is paramount
4 compared to getting a counter detected. And that's our
5 concern. We're not looking for a lot of operating
6 errors.

7 So I'll automatically come to 58 feet. If I
8 still can't see at 58 feet because the sea state is so
9 high, we'll come up to 56 feet and conduct searches.
10 And I'll adjust the speed as necessary to maintain
11 depth control.

12 Once we're at periscope depth and I've
13 conducted all the searches associated with the sonar,
14 ESM reports his initial defensive search and his
15 offensive search, which is basically -- his defense
16 search consists of threat emitters that are emitters
17 with signal strengths that are really close that are
18 really a threat to basically sinking the submarine in a
19 threat environment or a ship borne ESM contact that is
20 high enough signal strength that it can be a collision
21 threat, you report that immediately as a defensive
22 search.

23 Once he conducts a defensive search, he has
24 five minutes to conduct an offensive search where he
25 looks through all the different bands and reports all
26 the different ESM contacts that he holds on his system,
27 where it could be land based aircraft or a ship borne
28 navigational radar.

29 Once that's complete, I conduct my business
30 at periscope depth, maneuver the ship if I have any
31 contacts to maximize the CPA of that contact, the
32 closest point of approach of that contact.

33 So, for example, if I'm going like basically
34 on a collision course or a zero bearing rate, I'll
35 maneuver the ship and put it on a line of sight to open
36 up range if he's not that close. And if he is close,
37 then I'll just go deep and not have any situation where
38 it will have too close of a situation.

39 Then once we conduct all the safety,
40 basically, sonar and ESM, we conduct our business, we
41 ventilate, clear the broadcast and so forth.

42 And like I said, there are a lot of variables
43 of what we would do. And it depends on your sea state,
44 depends on the weather, depends on how many contacts
45 you have and so forth.

46 MR. ROTH-ROFFY: Okay. I'd like to explore

1 the issue of the ESM a little bit if I could.

2 When the periscope is breaking the surface,
3 you are the first one to look through and evaluate the
4 close contact situation. At the same time, the ESM
5 operator is also.

6 What criteria does the ESM operator use in
7 evaluating whether a contact is close or not?

8 LT. RONCSKA: It depends on the signal
9 strength, the signal strength to him. He has a
10 display. There's two different things that we have.
11 One is the early warning detector. It is basically a
12 processor that takes the ESM radar going into a sensor
13 and it displays it in a void or a noise. And what I
14 hear is the closer it is, there's -- what I hear is
15 PRF. It's the pulsar repetition frequency. It's
16 really quick. It's a higher frequency on the ESM or
17 the early warning, what I hear.

18 If it's close, it's going to be louder,
19 depending on the PRF. If it's low like -- un, un --
20 that's not a threat because it's land based. It's a
21 very low PRF. If it's really high, like -- eek, eek --
22 that is a high PRF compared to the lower PRF.

23 The lower PRF means that it's a lower PRF,
24 pulse repetition frequency. A lower pulse repetition
25 frequency is associated with land based emitters where
26 it had to send out this long signal and then has to
27 wait for it to come back. It's land based, looking for
28 things out on the water. A high PRF is a navigation or
29 a fire controlled radar which you're trying to lock on
30 and so forth. So -- a high pitch noise.

31 And also, the number of contacts out there
32 will also give how much noise is out there.

33 What he is looking at is a single display and
34 he uses his determination to determine signal strengths
35 of 1, 2, 3, 4 or 5 based on how big the signal is.

36 For example, if this screen is saturated,
37 he's going to have signal strength 5. If he sees side
38 lobes, which basically he's close and if he sees side
39 lobes, that's probably between signal strength three or
40 four. So anything 4 or higher he's going to tell me
41 right away I have close contact and I'll immediately,
42 if I see a close contact, to -- or I might just go deep
43 on his recommendation.

44 And again, it depends on the experience of
45 the ESM operator. I've never ever had a close situation
46 where I had to go deep on a ESM defensive search

1 because in my experience, I've never had a contact that
2 close where I needed to take drastic action because of
3 an ESM contact. And if I did, I'd see it before he
4 reported that. But I'm not saying it couldn't happen.
5 But that's what he's there as a backup.

6 MR. ROTH-ROFFY: Now I believe he also listens
7 with headphones. Is that the same aural noise that the
8 officer of the deck would hear through the emergency
9 warning speaker or is it different?

10 LT. RONCSKA: He can select his on WRA or he
11 can select early warning. He normally listens to the
12 early warning.

13 MR. ROTH-ROFFY: His own WRA? What is that?

14 LT. RONCSKA: WRA is the processor that he
15 uses. It's his own processing unit that he sits in
16 front of. It's basically the system where he gets an
17 input from the periscope. And then he can analyze the
18 signals as far as the frequency, the pulse repetition
19 frequency, the pulse width, and so forth. This is his
20 computer that tells him what signal is that out there
21 and tells him if it's navigation, is it airborne, is it
22 land. But he listens to early warning basically.

23 MR. ROTH-ROFFY: You seem to know this
24 procedure very well. Is this a procedure that varies
25 from ship to ship? Could you kind of give us an idea
26 if this is consistent or how these procedures are set
27 up?

28 LT. RONCSKA: There's a NWP guidance which
29 says these are the guidance of what you should do as
30 far as optical NWP that lists -- you will do a
31 defensive search. We recommend doing a defensive
32 search. In a defensive search, you will look for, like
33 I said, any collision threats or airborne emitters that
34 potentially -- you know, a threat emitter. And it
35 specifically says then you will conduct an offensive
36 search.

37 So there's an NWP.

38 MR. ROTH-ROFFY: Okay. I'm sorry. I wasn't
39 clear with my question. I was speaking more in terms
40 of the overall procedures of going to periscope depth,
41 how those vary from boat to boat and how they're
42 prescribed.

43 LT. RONCSKA: There's a commanding officers'
44 standing orders that was published approximately four
45 or five years ago. Each individual CO had his own CO
46 standard orders tailored how he wanted the ship to be

1 run with directives and so forth and he published his
2 own CO standards. SUBPAC and SUBLANT came up with this
3 joint or this standardized CO standing orders and went
4 out to the boats and said this is what we'd like you to
5 tailor so everybody's more consistent on how we do
6 business. And in there it has periscope depth
7 procedures.

8 And again, it's up to the commanding officer
9 how he wants to run business. This is a guide. If he
10 wants to change it, he doesn't have to follow it to the
11 T. But again, this is a guide.

12 So as far as to answer your question, does
13 each ship operate the same as far as going to periscope
14 depth, the answer is no. It varies from ship to ship.

15 And it's up to the commanding officer of how he wants
16 his ship run. Some people do things not much different
17 but very similar, as you'll see. And it varies from
18 ship to ship.

19 MR. ROTH-ROFFY: You stated that when you're
20 going at 150 feet, that you would proceed on various
21 legs in order to get a better idea of what the contact
22 situation was.

23 Can you tell us how long those legs would
24 typically be and how much that would vary from contact
25 to contact or what the variables are there?

26 LT. RONCSKA: Again, it depends. Because,
27 one, if I had this contact previous and I know exactly
28 what it's doing -- for the last hour and a half, it's a
29 merchant traveling from east to west, and I've had this
30 contact before and I can determined that. If sonar can
31 classify it, it's the same RPM, same screw blade
32 configuration, if that's the case, I'm not going to
33 spend much time on it because -- (off mike).

34 If it's a new contact and he has a right
35 bearing -- for example, when we go off the line he says
36 the contacts on the right, drawing right and I just did
37 a leg on him and the bearing rate didn't change
38 significantly, I know he's not that close. And that is
39 a comfort to me and to the captain to say this contact
40 is not that close. He's fine. Especially if he's on
41 the right drawing right.

42 Another indicator we have is DE-angles. We
43 have different DE-angles where the sonar looks out. If
44 the contact is present in all DE-angles, which means
45 his sound path is coming in in all different DE-angles,
46 the contact is probably close. And if you've done a

1 leg on him and you're not sure of where he's at, you
2 may want to do another leg. If he's on the right
3 drawing right and you're on a good course to not close
4 him as far as if you have your speed -- if your course
5 is not contributing to closure, depending on your
6 course, you might be on the best course that you can be
7 on to maximize the distance you want when you're
8 actually at periscope depth.

9 So again, it depends on what course you're on
10 and what his bearing rate is. There's other factors
11 associated with if you want to do another leg. It's
12 SNR. SNR is another thing you can look at if it's a
13 contact that's fading in and fading out. If he's on
14 the right drawing right, you can just use that.

15 But if it's consistent and -- again, another
16 thing that I mentioned earlier is if it's a warship,
17 classified a warship, a warship is very quiet. So if
18 you pick up a warship, you want to do another leg on
19 them to make sure he's not close because a merchant at
20 20,000 yards is like a warship at 3,000 yards.

21 So depending on what contact you're dealing
22 with is also how much you want to know, how confident
23 you are with where this contact is.

24 And like I said, it depends. It depends on a
25 lot of variables of basically DE-angle, SNR, bearing
26 rate, what course you're on, what shipping lanes if any
27 do you expect, what type of contact it is, and so
28 forth.

29 So, -- I don't know if that answers your
30 question.

31 MR. ROTH-ROFFY: Yes. That gives us a lot of
32 background. Could you maybe give a numerical idea?
33 Could you do this is 30 seconds, to run on a leg and
34 then switch over and do another 30 second leg or would
35 it take an hour to run on these legs?

36 LT. RONCSKA: No, no. And you have to weigh
37 in. The longer you wait on one leg then you're
38 potentially giving another contact behind you that's
39 coming up your stern. So you have to weigh the pros
40 versus con. How long do I wait on this leg and how
41 much do I want to polish the cannon ball, figuring out
42 exactly what this contact is doing.

43 The longer I wait, here comes another
44 contact. And again, he could be a potential threat.
45 So the longer I wait and 150 feet to figure out what's
46 going on, the more time while these other contacts

1 close in on me. And the best thing I can do as far as
2 my best sensor is a visual search of the periscope.

3 So it depends. Normally, I'll go on a leg
4 for two or three minutes. If I hold nothing, I will
5 come over. And depending on what we're doing or local
6 operating area, come around at left 15 degree rudder,
7 and it will take me approximately two, three minutes to
8 get to 120 degree course. And then I'll stay on that
9 leg depending on how long it takes. And it could take
10 me as little as five minutes to do the baffle clear and
11 sometimes it can take me 45 minutes to do a baffle
12 clear, depending on the contact situation.

13 And again, it just depends on what contacts
14 you have and all the variables that I discussed
15 earlier.

16 MR. ROTH-ROFFY: Now, doing the baffle clear,
17 I understand, is to look behind you. Is that also --
18 are you at the same time refining your solution to your
19 contacts that you hold? I mean, is that part of the
20 baffle clears to consider something separate?

21 LT. RONCSKA: It's a secondary benefit. The
22 primary reason you do a baffle clear is to look at your
23 baffles to make sure that you don't have a contact that
24 you don't see. For example, you come to periscope
25 depth and you have this guy coming up behind you. It's
26 a merchant that's doing 20 knots and you're doing 5
27 knots and all of a sudden you look behind you and you
28 see his bow. That is the main reason for a baffle, to
29 look behind you and make sure nothing's there.

30 But you do want to conduct a baffle clear to
31 assist you in conducting ranging maneuvers on all the
32 contacts you have. The ideal baffle clear is to have a
33 contact on your left, say 30-40 degrees, and you want
34 to conduct a baffle clear to the left to place this
35 contact 80 degrees relative to you, or 90 degrees
36 relative to you, and keep this contact out of your
37 baffles. And by doing that, you can do a ranging
38 maneuver on him, figure out what he's doing, and at the
39 same time you clear baffles over on the other side.

40 And if you were to conduct a baffle to the
41 right, this contact was on the left, now that would be
42 in your baffles and you can determine what he's doing.

43 So while you're proceeding to periscope depth
44 the sonar operator will also be alert to any new
45 contacts or contact that's significantly breaking with
46 a right hard bearing rate, which is indicative that the

1 contact is close. He will call it out to say we've got
2 a close contact.

3 So to answer your question, you do your
4 baffle clear to look at your baffle areas to make sure
5 you don't have any close contacts. And then you also,
6 to assist in figuring out what the contact situation
7 is, you will conduct a baffle clear to conduct ranging
8 maneuvers on contacts to figure out if their range and
9 so forth. And if you're not comfortable with the
10 range, you can conduct subsequent maneuvers after
11 you've conducted the baffle clear. But you will always
12 conduct a baffle clear.

13 Let me rephrase that. You will always look
14 behind you in a situation to ensure you will not have
15 anybody coming up behind you.

16 MR. ROTH-ROFFY: I'd like to get a feel for,
17 as officer of the deck, how you receive information
18 about contacts and how you evaluate that information,
19 and to what extent you rely on the evaluation of other
20 people's evaluation of contacts.

21 I understand -- we understand that the OOD
22 can look at some of these displays himself and he also
23 receives evaluation information from other
24 watchstanders.

25 Could you kind of give me a feel for that?

26 LT. RONCSKA: Sure. There's certain trip
27 wires that the control room party calls out to get your
28 attention. One is being a contact with a zero bearing
29 rate for a period of time. A contact with a zero
30 bearing rate can be mean one of two things. One, it's
31 very distant. It's so far, so distant that it's moving
32 but it's so far away that the bearing is not moving at
33 all.

34 The second consideration is that the contact
35 is on a collision course with a zero bearing rate which
36 is not what we want. So when they say contact has zero
37 bearing for a period of time that will automatically
38 get my attention and I'll go look at it. Once I look
39 at the contact, I will look at it on the sonar screen.

40 If it's a clean trace -- it depends on if this contact
41 is real or not. It could be biologics. It could be
42 noise in the water. What I look at on the screen is is
43 it a clean trace, is it consistent, does it jump
44 around. If it jumps around, it's a good chance it's
45 biologic.

46 Then I'll go to the sonar seat and I'll

1 request sonar to classify this contact. The sonar will
2 then look at the trace and then listen orally on that
3 trace and he can hear; is it mechanical, is it
4 biologics. And he will cut to this thing called CLASS.
5 And then he can further analyze this trace and
6 determine if it is actually a contact or not. So
7 that's one way.

8 There's certain things that stand out when
9 you stay at zero bearing rate contact for a period of
10 time. That will automatically get my attention to go
11 investigate this contact.

12 I will also be looking at the screen to see
13 if the contact -- a big trip wire for me also is a
14 contact with a bearing rate, significant bearing rate.
15 Again, if the contact has a high bearing rate, that's
16 a close contact no matter. It's inversely
17 proportional. The contact has to be doing extremely
18 high or a high speed and be further out. If it's a
19 slow contact with a high bearing rate, it's really
20 close.

21 So any contact that has a high bearing rate
22 we will automatically look at and I will immediately
23 inform the commanding officer that the contact is
24 within 4,000 yards. And my intention is to open range,
25 even if we're submerged.

26 Other things like I mentioned here earlier is
27 the DE-angle. If I have this little out contact with a
28 high SNR -- SNR stands for signal to noise ratio. If a
29 contact has a high signal to noise ratio and he's
30 coming in all DE's, that's another indicator that, one,
31 this contact is really loud but most likely it's a
32 close contact, a merchant.

33 And other things that we have is when we have
34 towed array up and we always don't want to have the
35 towed array out. But when we do, the contact is drawn
36 up to towed array, which means he's either overtaking
37 us or he's on a collision course. Any contact with any
38 trace that's driving up the array is also another
39 indicator for me to see what this guy is doing. I'll
40 maneuver on him and see if he's close. Maybe he's
41 paralleling our course; he's faster than us; and so
42 forth.

43 Obviously, another trip wire is that the fire
44 controlman tells that the CPA to this contact has a CPA
45 of 2,000 yards in two minutes. We should never get in
46 that situation. Either the solution is wrong or we're

1 so close we can hear him because of conditions, which
2 sometimes occur. You can't pick him up until they're
3 within 4,000 yards, depending on this environment layer
4 and the other shipping noise in the water. Then you
5 have to just maneuver as best you can to open up range.

6 The other trip wire tells me there's a
7 contact solution with a CPA of less than 1,000 yards at
8 a certain time. That will also give me my sense of
9 where to look at. And I have a sonar supervisor
10 looking, telling me every single contact; when we get a
11 new contact; when he drops a contact; if this contact
12 changes course and speed, which he determines from the
13 trace changes. He will report that to me on the con.

14 MR. ROTH-ROFFY: Could you give us an idea of
15 your subjective weighting of the various inputs that
16 you're receiving, for example, from sonar, from fire
17 control, anything else that you might be receiving that
18 helps you to evaluate the contact situation.

19 LT. RONCSKA: Again, all these are objective.
20 But it becomes more subjective as I get more and more
21 information and there's things that come from the truth
22 of what is out there.

23 For example, if I have more than one leg on a
24 contact, I maneuvered on him. Then it goes from the
25 objective to subjective. For example, if I perform
26 three maneuvers on this contact, whether it's
27 sophisticated sonar system and a sophisticated fire
28 control system, I'm pretty confident of what the
29 contact is doing. So I would say that would be
30 subjective.

31 If I have one leg on the contact and the
32 contact just comes in and I have a slight bearing
33 period on the contact and fire control technician comes
34 up with a solution that this contact is on a course of
35 such-and-such, speed such-and-such, distance such-and-
36 such, I'm not going to put any weight into that fire
37 control solution until I maneuver. He can be close but
38 you really can't tell if the contact is 10,000 yards
39 away or 30,000 yards away because we just can't tell
40 with the bearings and so forth. But I can use other
41 tools to provide better confidence to this solution by
42 looking, like I said, at the DE-angles, the bearing
43 rate, so forth.

44 If he tells me a contact at 20,000 yards
45 demonstrates this with a four degree or five degree
46 permitted bearing rate, I'm going to tell him that your

1 solution is wrong and he'll concur with me. And then
2 he'll update the system solution.

3 So to answer your question, can I ever get a
4 subjective truth to what is out there by sonar and fire
5 control, the answer is no. It's always somewhat
6 objective and it just becomes more subjective as they
7 get more information as time goes on.

8 And with experience is what I think is the
9 most valuable thing that an officer on deck has, and
10 the same thing with the commanding officer. Experience
11 tells you everything. You've seen those contacts
12 thousands of times. You've seen the DE-angles of what
13 you can expect. You've seen probably the same merchant
14 thousands of times if you're the commanding officer.
15 And just by looks, sometimes the commanding officer can
16 just look at the display and say after a maneuver this
17 guy is a problem or this guy is not a problem.

18 So I think the most important thing is your
19 experience of doing it over and over again is the most
20 important thing as far as making it objective compared
21 to subjective or subjective by subject.

22 MR. ROTH-ROFFY: Okay. I do have a few more
23 questions but I do want to give the other people on the
24 Board to ask a few questions. I'll pass to Mr. Bill
25 Woody.

26 MR. WOODY: In the briefing before periscope
27 depth, I think you talked about reports from the fire
28 control coordinator or fire controlman on watch. What
29 would you expect the fire controlman on watch to report
30 to you when you're having a briefing for going to
31 periscope depth? You've covered some of these I know
32 already, but --

33 LT. RONCSKA: I know what I'll do is before I
34 conduct a brief, I will look at what the contact
35 situation is. If I have any close contacts within
36 10,000 yards or CPA of 2,000 yards, I will brief this
37 contact Sierra 25 is at a range right now and he will
38 have a closest point of approach of 2,000 yards at this
39 time. And I will brief with the sonar supervisor and
40 tend to come over here to the baffle clear to open the
41 CPA to this value. And I'm confident that my maneuvers
42 are accomplishing the solution that this is a safe
43 course for periscope depth.

44 If all contacts are outside 10,000 yards, the
45 fire controlman really normally does not say anything
46 until we conduct our maneuvers. And then we'll refine

1 the solution. That's not saying that the sonar
2 supervisor and myself and the fire controlman does not
3 know what the solution is to the contacts. We just
4 won't report them if they're not a concern at the
5 briefing. We will brief the commanding officer later
6 on all contacts that we hold, saying this is their
7 course, speed and so forth.

8 But fire control, unless it's going to be a
9 problem, he will not mention anything during the brief.

10 MR. WOODY: If you had just a few contacts
11 with a low bearing rate and the fire controlman was
12 trying different solutions, just a question on his
13 initial setup. Would he normally by doctrine cite that
14 the course would be a closing course, or would he --

15 LT. RONCSKA: It is submarine practice that
16 the initial system solution should always be a closing
17 aspect by contact, unless otherwise proven.

18 MR. WOODY: If he has a contact with a low
19 bearing rate and he would generate a solution which had
20 him coming in but it had not been tested. If it
21 generated any kind of a particular range, would there
22 be a time when he would report that to the OOD or would
23 you go and find out? How would that work?

24 LT. RONCSKA: You're saying if he had a
25 contact, when would he actually report it to the
26 officer on deck that he has a solution on his contact?

27 MR. WOODY: Right. Because he could have a
28 solution very quickly by adjusting the inputs.

29 LT. RONCSKA: True. And again, that depends
30 on boat to boat. And it depends on the bearing rate
31 and depends on slow bearing rate.

32 We had this contact for a couple of minutes
33 and fire controlman knows that a couple minutes
34 solution on a contact that we only had for two minutes
35 with a relatively low bearing rate, the confidence in
36 that solution is very, very, very, very weak. And he
37 knows that the officer of the deck knows that.

38 So if he were to report that with a couple
39 minutes of data, the officer of the deck would know
40 this isn't a very good solution. He would look at him
41 and say, I know the truth of this is not very good. So
42 I don't think he would report it.

43 But if he had a contact for 10 minutes and it
44 starts stacking and his confidence went up, he would
45 then report it to the officer on deck. And again, it
46 depends on bearing rate and it depends on boat to boat

1 what point in time it would be reported.

2 And again, the officer of the deck knows what
3 contacts are out there because his sonar supervisor
4 reports all contacts that are gained. And it like
5 branches off. The sonar supervisor reports to the CON
6 that I gained a new sonar contact. The officer of the
7 deck takes that information and stores it in his head
8 and looks up at the contact that is gained. At the
9 same time, the fire control technician also looks at
10 his screen and he can see where the contact is placed
11 in the ETA, which is an automatic track caller. And he
12 also keys into what he says, the sonar supervisor,
13 that, hey, I've got a new contact. At that time, he
14 automatically starts tracking.

15 So, it's not like he's keeping something
16 secret from the officer of the deck if he doesn't tell
17 him because the officer of the deck knows that there's
18 a contact out there and the officer of the deck knows
19 that a one-leg solution is not very good.

20 For certain things, like I said, the fire
21 controlman will tell the officer of the deck if all of
22 sudden you start generating a bearing rate, starts
23 breaking. He'll automatically say, officer of the
24 deck, this contact is breaking. I believe he's closer
25 than we thought.

26 He'll also tell the officer of the deck after
27 a leg with this contact. If the officer of the deck
28 doesn't go over to the screen and say, hey, what's the
29 solution on this contact, he will also tell the officer
30 of the deck after a leg when he has more confidence.

31 MR. WOODY: You mentioned a couple of terms
32 and I'd like to explore the magnitude of them. You say
33 starts developing a bearing rate. What would be the
34 threshold of say developing a bearing rate be for one
35 that's been fairly steady?

36 LT. RONCSKA: If you had a right point five,
37 right one degree bearing rate and you could see it on
38 the screen over time and it starts -- the slope of the
39 bearing rate starts to increase.

40 MR. WOODY: And the term breaking, does that
41 have a particular meaning?

42 LT. RONCSKA: If you were to look at a graph
43 of bearing rates, it's a term that's used for
44 submariners. If you had a confidence slope and all of
45 a sudden the slope starts changing and you could see it
46 starting to change --

1 MR. WOODY: Started to change.
2 LT. RONCSKA: -- magnitude wise as far as
3 becoming more steep, that is a term called breaking.
4 MR. WOODY: Breaking.
5 LT. RONCSKA: And depending on how severe it's
6 breaking tells you how close the contact is.
7 MR. WOODY: I see.
8 LT. RONCSKA: But any break of a significant
9 magnitude is like a thing that should notify you that
10 this contact is closer.
11 MR. WOODY: Okay. In trying to find out about
12 what's going on in the fire control, what the fire
13 control is doing, do you walk over to his position and
14 look over his shoulder, or how do you acquire that? Or
15 does he make reports to you? Would you discuss that?
16 LT. RONCSKA: And again, it depends on the
17 submarine and how they like to do business. I've done
18 it both ways. One fire control report a solution at
19 Sierra 25. Fire control display the solutions at
20 Sierra 25. Take a walk over there because he can
21 display another solution to another contact or he can
22 look at the contact. It depends on how you do
23 business. You can do it either way. You can tell him
24 to report to you, you can go over and look at it, or
25 you can even look at the ASVDU and mentally the officer
26 of the deck can give his own solution.
27 Like I said, if you maneuver and the
28 contact's bearing hasn't changed, it was at right point
29 one, right point two and you took all your speed across
30 the line of sight out of -- basically went across the
31 line of sight and the bearing rate still hadn't
32 changed, just by the mathematics of the situation, of
33 the formulas, you know that this contact is not close.
34 MR. WOODY: Could you just sort of as a simple
35 matter, explain to us the different displays. If you
36 were to go over to the vicinity of the fire control
37 division's various screens, what different displays
38 would you expect to be up and running with a contact?
39 LT. RONCSKA: There's one display where it's
40 called stacked dot. Each dot provides you where it
41 comes in from sonar over a period of time and each
42 stack is these dots. And from those dots, it's an
43 error with bearing rate or bearings. And basically,
44 the system puts in a bearing that the system thinks the
45 contact's bearing should be. And then when the actual
46 bearing comes in, you'll get an error. And then he

1 adjusts his solution to make his solution public, like
2 what the actual bearings are doing.

3 MR. WOODY: And we've had the opportunity to
4 see that one. So I think you've refreshed us very
5 well.

6 What would be another display that you'd see?
7 LT. RONCSKA: Another display is called an ops
8 summary.

9 MR. WOODY: Okay. Ops summary.

10 LT. RONCSKA: Ops summary basically is a
11 geographic display of the ship, which is in the center.
12 And all the contacts, they're into the system solution.
13 And the fire control solution or system will be
14 displayed on a thing called ops summary. Basically, a
15 list.

16 Like for example you have five contacts, and
17 assuming that this is north and you had a contact at
18 330 with 10,000 yards --

19 MR. WOODY: Like a maneuvering board type
20 presentation?

21 LT. RONCSKA: Exactly. It's a maneuvering
22 board.

23 MR. WOODY: And is there another type of
24 display?

25 LT. RONCSKA: There's a time bearing mode.
26 You can call up the bearing history of a specific
27 contact over a period of time. So if you went to a
28 time bearing mode for Sierra 25, all it does is it's a
29 graphical display of what the bearings are doing.

30 MR. WOODY: Is that where you'd see the break
31 that you described a few minutes ago?

32 LT. RONCSKA: Yes, sir.

33 MR. WOODY: And any other displays?

34 LT. RONCSKA: Other than that, there's a line
35 of sight mode which is used for a CPA. It basically
36 gives a line of sight diagram for the two contacts that
37 concern you and the contact that you have on the
38 screen.

39 What is useful with this screen is it can
40 give you -- it tells you your closest point of
41 approach. And what this does for you is that you can
42 go through a trial mode where you can maneuver the
43 ship. Basically, it allows you to trial your own ship
44 into another course and speed and it will update you on
45 what the closest point of approach would be if you did
46 maneuver the ship to a new course or speed. And it's

1 like a computer program that tells you if I'm coming to
2 the left at 50 degrees and change the speed to 10 knots
3 instead of five knots, the contact with as good as my
4 system solution is, will pass with a closest point of
5 approach of X amount or will change by this amount.

6 MR. WOODY: Any other displays that you'd
7 expect to see?

8 LT. RONCSKA: No. Those are the -- when
9 you're going periscope depth, those are the main
10 screens that he utilizes.

11 MR. WOODY: If you went to periscope depth and
12 let's say you had a solution that was generating -- you
13 assumed it was incoming and it was generating maybe
14 more than once and he cranked it back out -- this is a
15 hypothetical question. If you came to periscope depth
16 there was a look around and no contacts were spotted,
17 would you expect the fire controlman to do anything
18 different?

19 Let's say it was generating into something
20 under 5,000 yards, for example.

21 LT. RONCSKA: What we normally do -- and
22 again, it depends on the ship. This isn't written
23 anywhere. If we have a contact within 5,000 yards by
24 the fire control solution, after I say no close
25 contacts, he will automatically request that I look on
26 the bearing of the contact that was at 5,000 yards.

27 He'll say, office of the deck, question.
28 Will you look on the bearing of Sierra 25. Sierra 25
29 bears 325. You're on 280. Come right 60 degree to
30 325, or whatever. And I'll automatically -- like I
31 said, after I get periscope depth, my next concern is
32 to start looking around the bearings of those contacts.

33 MR. WOODY: If you look at the bearing
34 requested by the fire controlman and you didn't see
35 anything, what would he do then? Let's say again that
36 he has this target that's generating into 5,000 yards
37 without a really good solution.

38 LT. RONCSKA: Right. Again, it depends. If
39 he believes that this contact is 5,000 because of the
40 bearing rate, either it's a submerged contact or its
41 biologics. And again, it depends. If he strongly
42 believes with his indications and his experience that
43 there is a contact out there, he might call the officer
44 of the deck and again and say you need to look down at
45 this. But if the office of the deck looks down at the
46 bearing and he doesn't see anything --

1 MR. WOODY: Let's start with the first
2 scenario. Assume it was classified by someone as a
3 surface ship and it's not seen. What would be his
4 action in that case?
5 LT. RONCSKA: The officer of the deck or --
6 MR. WOODY: The fire controlman. In other
7 words, the hypothet is that it's been classified as a
8 surface contact. The OOD has taken a look around and
9 the fire controlman has a solution that's generating in
10 5,000 yards which has not been refined.
11 LT. RONCSKA: And again, that depends. If
12 we're at a depth where I'm getting wave slap, I will
13 tell the dive to get up as far as I make my dive
14 shallower and get out of it.
15 MR. WOODY: And how shallow would you go?
16 LT. RONCSKA: 55 feet shallower.
17 MR. WOODY: 55 feet.
18 LT. RONCSKA: And again that depends on each
19 individual ship. And if I went to 55 feet and I still
20 couldn't find anything and the fire controlman thought
21 that that contact was close -- and again, this isn't
22 written anywhere. What we like to do on our ship is we
23 have a CEP plotter, a contact evaluation plotter. And
24 that's another thing we look at.
25 I'm sorry. Just to digress. But you asked
26 me what else we'd look at.
27 MR. WOODY: That's quite all right because
28 we've had a lot of very fine education and we've seen
29 the paper CEP plotter. So if that's what you use,
30 we've seen that.
31 MR. ROTH-ROFFY: And we've seen the electronic
32 CEP plotter also, which I'm not sure if ASHEVILLE has.
33 LT. RONCSKA: No. We still have the paper.
34 MR. WOODY: Paper. All right.
35 LT. RONCSKA: The CEP plot is very important.
36 It tells you, especially -- it gives what course
37 you're on; if the contact is on the left drawing left
38 or on the right; and if you can see over an hour, this
39 contact has a slow bearing rate to the left, then it's
40 probably a distant merchant. But if this contact
41 suddenly appears and he starts breaking by CEP, that's
42 another indication that you need to watch out for this
43 contact. And also gives you a good course to steer and
44 see if you have three contacts over here and you're on
45 this course, they're all drawing left and you're on the
46 left, you can tell you need to come over to the right

1 by looking at this visual CEP plot to help you out.

2 And also the CEP plot is there to help the
3 officer of the deck out. And to get back, what I would
4 do if there's a contact, fire control is serious about
5 this contact is close, I may direct the CEP plotter to
6 say CEP, report in two, three minutes.

7 We have a thumb rule that if the contact is -
8 - whatever the contact's range is in yards, subtract
9 two. This is the period that we need to look at the
10 contact. Which is not irrelevant in this scenario
11 because I don't hold them visually, but in this case if
12 I didn't hold this contact and fire control believed
13 that this contact is out there, then I would say CEP,
14 report when two minutes has expired. I want to train
15 the scope again to this bearing where this contact is.

16 And the CEP would say, mark, two minutes.
17 Aye. And he would have a stopwatch there and two
18 minutes later he would say office of the deck, two
19 minutes has expired. Request you look down the bearing
20 of Sierra 25. And again, I'd look down the bearing of
21 Sierra 25 because I know that if I can't see him, then
22 the only thing I can do is continue my search to look
23 at a later time -- at a specific time that I know is
24 safe to the ship. Like for example two minutes.
25 There's a three minute rule. I don't know if you're
26 familiar with the three minute rule. We have a thumb
27 rule. It's very accurate that if you do, say, for
28 example, 10 knots, in three minutes you'll travel 1,000
29 yards. So you have to take in his speed into
30 consideration and our speed into consideration.

31 So for example, if he's doing five knots and
32 you're doing five knots, it's 10 knots. And in three
33 minutes the closure rate will be 1,000 yards. So I
34 know if I look down the bearing and I can't see
35 anything and I have sufficient high look and
36 visibility is unlimited. I know the contact is not
37 1,000 yards away. So in two minutes, I'll look down
38 the bearing head in two minutes because I know 2,000
39 yards is all he can close if he's going to do it in
40 five knots.

41 There's all these variables that go into play
42 on how often you look down the bearing. And again, it
43 depends on visibility, sea state, what contact is out
44 there. Is it a merchant, is it doing 20 knots, is it a
45 fishing doing five knots, is it a sailboat which you
46 can't really see or is it a small fishing boat which is

1 hiding in the waves. Like I said, the sea state. It
2 can be hiding in the waves.
3 I don't know if that answers your question.
4 MR. WOODY: I think it was a very good answer.
5 I think it was very elucidating.
6 You missed the CE plot. You mentioned the
7 sort of presentation that you have in the control room,
8 the ASVDU, I believe it was pronounced, if I said that
9 correctly.
10 If your ASVDU were out, what compensating
11 movements would you do or would enable you to
12 differently. Let's say you're in a local op area and -
13 -
14 LT. RONCSKA: We wouldn't feel -- I can't
15 speak for my commanding officer what he would do. What
16 I think would be done is a heightened sense of -- you'd
17 have more of a heightened sense of what contacts are
18 out there.
19 As far as what we would do different, we may
20 station a person in sonar. I couldn't answer that.
21 MR. WOODY: You mean station an officer in
22 sonar or an extra person in sonar? Because you've got
23 a supervisor and a couple of watchstanders in there or
24 something like that right now.
25 LT. RONCSKA: Yes. We have a supervisor. I'm
26 not saying we would. I doubt it now that I think about
27 it.
28 MR. WOODY: Have you ever had this experience?
29 LT. RONCSKA: No.
30 MR. WOODY: Okay. Maybe it's not a proper
31 question then.
32 LT. RONCSKA: We've never. I know if the
33 ASVDU were out, we have our CID's for -- which are
34 sonar displays. It's basically the same thing as the
35 ASVDU. But we have two separate sonar screens in the
36 control room. We had that luxury. We had two
37 different displays. (Off mike.)
38 MR. WOODY: I think you're doing very well. I
39 was just trying to see if it was something relative to
40 your experience.
41 LT. RONCSKA: It depends. If you were to look
42 out the bearing, if you were already aware at periscope
43 depth and you were confident out there.
44 MR. WOODY: Well, say you hadn't been and you
45 were getting ready to go up, would you make more use of
46 the say CEP plot, for example?

1 LT. RONCSKA: Sure. And it depends on if -- I
2 would ask specifically. I would look at the screen.
3 If I could see from the time bearing what the bearing
4 rates are doing and what the contacts are, I'd get --
5 and again, it depends. If I was in the middle of four
6 contacts, both contacts were two on the right drawing
7 right and two on the left drawing left and they went
8 like this from sonar, I would feel pretty good going to
9 periscope depth.
10 And again, it depends on what contacts you
11 have and what's their SNR. And I may look at the
12 sonar. I may not, depending on the situation.
13 MR. WOODY: If you had a couple of contacts in
14 one direction and the bearing rates were small or
15 appeared to be small and you want to come to periscope
16 depth, what would be the considerations of heading
17 toward them, away from them or maybe putting them on
18 your beam.
19 Say there are two in the same general
20 direction traveling north, for example, to make it
21 easier to understand.
22 LT. RONCSKA: And again, it would depend on if
23 I did a maneuver on them and the contacts are very
24 distant. And it depends on where I'm going. If I
25 could, I'd probably maneuver the ship to place a ship
26 in the line of sight and put my speed out of their line
27 of sight, which means I'll move the ship or I would not
28 put any of my speed to close the contact.
29 MR. WOODY: And another is to put them on the
30 beam, perhaps, would be an example.
31 LT. RONCSKA: Sure. If I was not confident or
32 if I was -- like I said, if they were within 5,000-
33 6,000 yards and that's what the decision came out and
34 we need to get to periscope depth, I'd move the ship to
35 open range. So it depends. If the contacts, I didn't
36 maneuver on them and they're outside 20,000 yards,
37 you're on a safe course. I would maneuver the ship,
38 not point them, but I'd probably get off their beam a
39 little bit of 30 degrees.
40 MR. WOODY: Thirty degrees on your bow?
41 LT. RONCSKA: Thirty degrees. Probably the
42 least I would go is less than 20 or 30 degrees, in
43 there somewhere. I don't particularly like to point
44 contacts.
45 MR. WOODY: You'd come to a course say of 020,
46 030?

1 LT. RONCSKA: 030. Which means half of my
2 speed is in line of sight. Which means half of my
3 speed is going towards them. Anything above 30 really
4 takes my speed out of line of sight. So anything less
5 than 30, pretty much all my speed is contributing to
6 the closure rate.

7 MR. WOODY: Yes. You answered a question a
8 while ago about the type of signals you hear from ESM.
9 Does the device you have in the control room, does
10 that enable you to hear the same kind of signal that
11 the ESM operator is hearing?

12 LT. RONCSKA: Yes.

13 MR. WOODY: Okay. In other words, it's not an
14 alarm. You'd hear the same signal.

15 LT. RONCSKA: Right.

16 MR. WOODY: You mentioned that one of the
17 things you do in preparation for coming to periscope
18 depth is to turn the volume up on the speaker.

19 LT. RONCSKA: It's right by the periscope.
20 There's a little gray speaker with a little knob. What
21 you do is before you go to periscope depth, you test
22 it. Basically, you say ESM CON or ESM CON testing --
23 and he would say CON ESM aye. And as soon as the
24 periscope is fully raised --

25 MR. WOODY: What would you say again? The
26 first thing you'd say.

27 LT. RONCSKA: It's ESM which is the ESM
28 standard on the intercom. ESM CON testing early
29 warning. And he'll say CON ESM aye.

30 MR. WOODY: Okay.

31 LT. RONCSKA: And there's a test button that
32 you can press sending a pulse signal into the system to
33 make sure it's working. It's a beep. And then I'll
34 hear it and the control, he'll hear it.

35 MR. WOODY: Is that a pretty strong signal or
36 does it depend again on how much you have the volume
37 turned up.

38 LT. RONCSKA: It's totally dependent on the
39 volume. I could turn it up all the way. It's a noise
40 signal, a beep.

41 MR. WOODY: Once on the surface, would you
42 have any custom of adjusting the volume once you're on
43 the surface? Say you go to periscope depth and no
44 close contacts. Would you then adjust the volume of
45 the particular speaker or whatnot?

46 LT. RONCSKA: Again, it depends on my comfort

1 level of looking at all the contacts and knowing
2 there's no close contacts. And then if it was
3 annoying, distracting me from doing what I need to do
4 as far as relaying orders to different watchstanders
5 because the thing is turned up so much that it's
6 distracting, I would turn it down. But I would turn it
7 down to a certain level where I could still hear
8 something.

9 Because from there, my primary sense now is
10 the visual. The visual should be true of what's out
11 there. Sure. Things can be hiding. I also have my
12 backup with the ESM operator.

13 We do shut it off once we start or energize
14 our radar. But this is 10-15 minutes, 20-30 minutes
15 after the surfacing procedure.

16 MR. WOODY: That's a later question I had but
17 as long as it's come up, you're the same class of ship
18 as the GREENEVILLE. How long would it take you to --
19 let's say you've come to periscope depth. How much
20 more time would it take you to put the mast up and take
21 a sweep?

22 LT. RONCSKA: If we're just going to periscope
23 depth, we never ever raise the radar mast unless we're
24 in a situation where -- I only know of one time we ever
25 raised the radar mast from a periscope depth and that
26 was during an exercise with surface vessels so we could
27 give them a cuing order. But you would never ever do
28 that because, one, you have to lock open the lower
29 bridge access hatch. There are speed limits associated
30 with the radar mast that you'd worry about exceeding.

31 And also, it's just too time consuming. And
32 the benefits of raising --

33 MR. WOODY: Well, yes. We've heard about how
34 you have to open the hatch and remove a pin and then
35 you have to raise it and you have to have your speed
36 low. But timewise, are we speaking of five minutes,
37 10 minutes or 15 minutes to take a couple of sweeps?

38 LT. RONCSKA: We're talking probably 20-25
39 minutes.

40 MR. WOODY: Twenty, 25 minutes.

41 LT. RONCSKA: Twenty minutes if you want to do
42 it. But again, we don't do that because the pros
43 versus cons of having the radar up compared to having
44 this extra hole in the ship of the water protection
45 hatch. The commanding officer is very avid about
46 having hole openings while we're at periscope depth --

1 if we ever collided with somebody, if we ever went for
2 a dive procedure, anything that deviates the ship being
3 at its highest integrity is not -- what we're basically
4 doing is looking at the pros versus cons. -- and we
5 actually have good visibility with periscope up, it's
6 not -- looking with the radar is not as beneficial as
7 keeping the ship with as high integrity as possible.

8 So we would never in my experience, 11 years
9 -- raise the radar mast at periscope depth because of
10 the pros versus cons.

11 MR. WOODY: Thank you very much. Appreciate
12 that.

13 If you want to take a -- you basically come
14 into 55 feet to take a look around.

15 MR. ROTH-ROFFY: Just a minute, sir. We've
16 had the good lieutenant here talking for an hour and 20
17 minutes. I need to ask whether he needs a break at
18 this point.

19 LT. RONCSKA: I'm fine. If you guys want to,
20 take a break --

21 MR. ROTH-ROFFY: Okay. Let's take a couple of
22 minutes then.

23 (Whereupon, a recess was taken.)
24

25 MR. WOODY: You mentioned earlier on that
26 there were different kinds of procedures; that
27 everybody has the same plan but it's modified by the
28 CO.

29 When you come to a new ship or you get a new
30 CO, how long of an adjustment period are you looking at
31 to get in synch with the new guy?

32 LT. RONCSKA: A couple of watches. Like, for
33 example, when a department head comes on board. After
34 being submarine qualified on his previous ship, just a
35 couple of watches to know the pet peeves of the
36 commanding officer and some things that are really
37 sometimes not written down and it's just the way he
38 likes to do business.

39 And I can give you some examples that aren't
40 written.

41 MR. WOODY: Please.

42 LT. RONCSKA: My commanding officer now,
43 Commander Engles, has specific things that he likes to
44 have accomplished prior to executing the evolution that
45 are not written down. For example, you can see how
46 subtle it is. When you start your initial search on

1 the periscope and you're going around, if you're at 58
2 feet and you get a wave slap, you can see the wave
3 coming and it's just coming right at you, and you know
4 you can't see past the wave. There's one or two
5 options that you can continue -- or can do.

6 You can continue on and just hopefully you'll
7 catch it the next time you come around during your
8 three sweeps or you could stop and wait for that wave
9 to go past. He likes -- he specifically told all the
10 officers to wait until that wave goes past. Wait until
11 it passes, then look down that bearing and then
12 continue on with your search.

13 And the reason why he likes to do that is by
14 chance, you can go around the very same spot three
15 times and there is a wave, the periodicity of the
16 waves. In this very same spot, at this very same time
17 there's a wave and you can't see down that bearing.

18 So that's one thing that you'll never find
19 written anywhere; wait until the wave passes until you
20 continue your search. And just little subtle things
21 like that.

22 You could argue that while you're waiting
23 there for that wave to pass you're not conducting your
24 search or if there is a close contact you're delaying
25 your chance of seeing this contact that's coming up
26 behind you while you're waiting for this wave. But
27 again, the pros versus cons. If you don't look down
28 the bearing then maybe, like I said, the next time you
29 go over that there may be a wave there again and you
30 can't see what you've got coming.

31 So there's really no right or wrong answer.
32 It's just the way -- how different ships conduct their
33 business.

34 MR. WOODY: And you can get in step with these
35 requirements in a couple of months or so.

36 LT. RONCSKA: Right.

37 MR. WOODY: Does it make a big difference
38 whether you're the new guy coming to the ship or the
39 captain is the new guy coming on the ship?

40 LT. RONCSKA: It's the captain. Normally what
41 I've seen in my limited experience as far as work, it's
42 the captain. But what happens is he will relieve. And
43 then he won't say anything until he sees how the ship
44 is running its business. And if it's been successful
45 before he's been there, he's not going to automatically
46 start changing things.

1 During his relief process he'll go and
2 observe what he likes, doesn't like. And after
3 probably a week prior to right after, he'll come out
4 with changes to the standing orders and brief the
5 wardroom on these are the things that I like that we do
6 and these are the things that I don't like or would
7 like to do better or change because of these reasons.
8 And that's what exactly the commander has done --

9 And again, they are subtle. It's nothing
10 that from each commanding officer to the next
11 commanding officer that you violate procedures, what it
12 specifically says in the book. For example, during a
13 surfacing procedure or a submerging procedure, we
14 follow that to the T, as far as we won't deviate from
15 that. But you can't write down every single
16 contingency of the procedure, like how do you look. If
17 that was the case, the procedures would be 10 feet high
18 with all the procedures on the ship. You just can't
19 write down every possible thing. There's too many
20 variables.

21 MR. WOODY: I certainly appreciate that.
22 You mentioned earlier on, too, that when you
23 come into periscope depth you would inform the captain.
24 And sometimes, depending on the number of contacts,
25 you might even ask him to come to control.

26 What does the captain look at when he comes
27 into control? If he does come in for some reason, is
28 there anything he looks at?

29 LT. RONCSKA: The first thing he'll look at is
30 the ASVDU displays from sonar and so on. And he'll
31 look. And there's a time history on there that he can
32 see what the ship has done as far as maneuvers to the
33 right, to the left. It shows that on the display.

34 And I know when he looks at the ASVDU, one,
35 he's looking for the 4DE's, if there's a contact --
36 that was close. Another thing he looks at is if the
37 contact is on the left drawing right or on the right
38 drawing left. That's something he's really not
39 comfortable with and neither am I. And it depends if
40 the officer on deck maybe is confident because he
41 didn't ring him -- distant. But even the contacts on
42 the left or on the right, he may say I want you to come
43 across line of sight on this guy and put him on the
44 right drawing.

45 So he looks for what respect does the contact
46 on the left draw left --

1 He'll also look at CEP over time. And if
2 he's still not comfortable with the situation, he may
3 go, like I said, to CEP or to the fire control
4 solutions on the contact to see how the dots stack and
5 -- get more confidence in that situation.

6 If he has a towed array out, he'll look at
7 the towed array and see if there's any contacts there.
8 So that's basically what he looks at.

9 If I may digress again, there's other aspects
10 that you need to look at when you go to periscope depth
11 --

12 MR. WOODY: (Off mike.)

13 LT. RONCSKA: Other things, especially for a
14 navigator to look at, which are hazards to navigation.
15 Again, there's pros versus cons. What you can see up
16 there is Penguin Bank. If I was near Penguin Bank, I
17 would not want to continue on a course very long
18 because it's pointing me right towards Penguin Bank.

19 And again, if there's a contact that is on my
20 beam and my only course that I can go is to keep this
21 contact on my beam is north towards Penguin Bank,
22 assuming that I'm south of Penguin Bank, I may then,
23 depending on how many maneuvers I did on this contact,
24 how close this contact was, I would weigh in to point
25 this contact more because of how confident I was in the
26 solution, rather than point a shoal spot that I can
27 potentially ground the ship.

28 So there are other factors. Those other
29 factors are where is the position of the sun because
30 when I'm doing a periscope search, I'm looking directly
31 into the sun and directly in the sun is reported a
32 contact, a bearing of a contact that we have holding on
33 sonar. Again, I'm not comfortable looking directly
34 into the sun because it blinds you and sometimes you
35 can't pick up contacts that are directly into the sun.

36 So I just wanted to add that as far as the other
37 factors. And you can see there are so many different
38 variables that there's no right answer exactly what
39 course, what speed, how long do you look. Just so many
40 variables when you go to periscope depth and while
41 you're at periscope depth. And again, experience is --

42 MR. WOODY: We certainly appreciate that
43 stealth is important to a submarine. There might be
44 other circumstances whereby you want to do a more
45 safety look around for some reason; bad visibility,
46 whatever, traffic in the area.

1 Can you describe coming -- you say you can
2 define a piece of that. Now that would be just about -
3 - would the top of the sail be coming out of the water?
4 LT. RONCSKA: The sail is at 50 feet. If --
5 MR. WOODY: So five feet under?
6 LT. RONCSKA: Right. So assume you're at 55
7 feet. The sail is five feet underneath the ocean and
8 the scope is approximately six, seven feet --
9 MR. WOODY: Could you come to 50 feet if you
10 chose to?
11 LT. RONCSKA: No. 50 feet is when you broach
12 --
13 MR. WOODY: Which is contrary to remaining
14 undetected.
15 LT. RONCSKA: Right. And then when you
16 broach, it's hard to get back down.
17 MR. WOODY: Tell us about how hard it would be
18 to get your ship down if you did broach?
19 LT. RONCSKA: It depends on suction forces.
20 Once you're up, it's hard to get the ship back down
21 because of the suction forces of the sea on the big
22 long shell back of the submarine. It just keeps the
23 submarine up there. So you have to increase speed, get
24 a down angle on the ship. And then you potentially --
25 the diving officer could over compensate and then you
26 leave periscope depth and you won't stop at a specific
27 depth.
28 And then you're in this situation where it's
29 unsafe because the periscope is underneath the water.
30 You can't see what's around you because the diving
31 officer can't maintain depth because he put all this
32 water in to over compensate for the suction forces.
33 Then you're just doing the -- you're going back up,
34 broaching, coming back down.
35 So it's good to have a buffer from broaching
36 the ship because then you run into depth control
37 problems. And broaching the ship at 50 feet really
38 doesn't buy you much.
39 We have this formula. It's called the height
40 of eye. It gives you distance to the horizon of how
41 far you can see. It's concerned for the submarine
42 because with the scope at 67 feet, if you're at 55
43 feet, you probably -- you have about eight feet of
44 scope. You could do the math. 67 feet is the top of
45 the scope optics and say 60 feet, you have seven feet
46 of scope exposed. And then the equation is distance to

1 the horizon is the -- of the height of eye times 1.12.
2 So if you have five feet exposed, which is
3 normally at 60 feet it's 58 feet, say even 67 feet, you
4 can see the horizon at approximately 3-4 miles. So if
5 you increase the scope slightly, which is good for the
6 waves. You can see above the waves if someone is
7 hiding. But maybe another mile or two miles after
8 that, anything that close, if he's within five miles,
9 which is 10,000 yards, you should be able to see him.
10 And then you've got the benefit of if he's a merchant
11 ship, then he also contributes to the height of eye on
12 the other side of the horizon. Because if there's he's
13 a -- merchant, you'd see him for 23,000-24,000 yards
14 away.

15 MR. WOODY: I think the one question I didn't
16 hear answered is in coming to periscope depth, like say
17 60 feet, which I think was your first example, I know
18 this depends on speed, but speed allowing, what depth
19 would you start putting the scope up.

20 LT. RONCSKA: You raise the scope at about 150
21 feet. The procedure is you raise the scope. That's
22 when you test the ascent. And the officer on deck
23 trains the scope directly ahead of him and he basically
24 looks in front of him while you're proceeding to
25 periscope depth.

26 MR. WOODY: I see.

27 LT. RONCSKA: Soon as the scope breaks the
28 water where he can see without wave slap, he'll start
29 his rotation around to look for close contacts.

30 MR. WOODY: You mentioned that warships are
31 often quieter than a merchant ship. What
32 characteristics do they have that makes them quieter?

33 LT. RONCSKA: Just their design. Their design
34 as far as propellers. They also have some mechanism
35 that makes them a lot quieter that sometimes they can
36 deploy. But just their design of being a warship.
37 They make them as quiet as possible so that enemy
38 submarines can't detect them.

39 So just by their sheer design of how the
40 propeller is and the machinery.

41 MR. WOODY: Does the design of the propeller
42 of a warship make it difficult to get say screw blade
43 information?

44 LT. RONCSKA: It depends on the distance.

45 MR. WOODY: Is it a matter of just how quickly
46 or how far you pick them up?

1 LT. RONCSKA: How far.
2 MR. WOODY: But if you pick them up, basically
3 you can get the information.
4 LT. RONCSKA: And sonar usually classifies the
5 contact because they can hear the contact and they are
6 trained on what a warship sounds like, especially if
7 it's quiet.
8 MR. WOODY: Are there any fishing boats or
9 other commercial vessels that are hard to get screw
10 blade information on typically.
11 LT. RONCSKA: Not that I'm aware. Sometimes
12 when you ask for class information, just because it
13 could be the distance of the contact, the aspect of a
14 contact, and like I said --
15 MR. WOODY: By aspect, what do you mean?
16 Pointing at you?
17 LT. RONCSKA: If the contact is pointing at
18 you, then all the noise with the screw blade is away
19 from you and the conditions are right, you may not
20 necessarily get screw blade information just by the
21 geometry of the contact that you're trying to analyze.
22 MR. WOODY: We did talk around taking a leg.
23 And you say it depends which we sort of can understand
24 that. If you had a bearing, let's assume one of point
25 5 which you mentioned a while ago, what kind of a leg
26 time wise would you require to analyze a contact that
27 was bearing out there at a small bearing rate?
28 LT. RONCSKA: Again, it depends on the
29 geometry, initial geometry. If I was pointing a
30 contact, just ended up pointing him and I picked him
31 up, then I would maneuver to get some of my speed out
32 of the line of sight, across the line of sight,
33 changing the speed across the line of sight, which is
34 how we determine range. It's called the -- range.
35 Once I did that, it depends on how far I
36 needed to go. It shouldn't take more than a couple of
37 minutes. After I did the initial leg, then I would set
38 up a new leg --
39 MR. WOODY: The other questions I have are
40 sort of different questions. You're ops. Would you be
41 the person that the captain would come to or the exec
42 would come to to say we're going to have visitors
43 coming on the ship? Would you be the person that would
44 be setting that up or would that be a different
45 officer?
46 LT. RONCSKA: It depends. For example, we did

1 two dependents cruises during my time on board and --
2 MR. WOODY: Do you remember the size of the
3 parties you had?

4 LT. RONCSKA: Probably 40 one way, 35.

5 MR. WOODY: 35?

6 LT. RONCSKA: Guests.

7 MR. WOODY: Guests. This is one party?

8 LT. RONCSKA: Right.

9 MR. WOODY: What evolution do you do for 35
10 people on board?

11 LT. RONCSKA: If it's a scripted day, we'd go
12 out and we'd allow guests to go to the bridge with the
13 officer of the deck, go up and see the sail before we
14 submerged.

15 MR. WOODY: Wait a minute. Have you had any
16 visitor days on the ship you're on now?

17 LT. RONCSKA: Yes. The dependents cruises.
18 What we do is we take the guests on board and we would
19 go to Maui and we'd anchor off the coast of Maui for
20 three or four days. And then we'd take a separate
21 group and take them back four days later.

22 So basically what we do is get underway
23 early, go out, submerge the ship, transit to Maui,
24 surface, and drop the guests off in port at sunset. And
25 then the ship would be anchored there for three or four
26 days. And then the next group of people would come on
27 in the morning and then we'd do the same thing back.

28 We'd surface, transit, submerge, submerge,
29 transit, surface again and we'd come back.

30 MR. WOODY: Would you do angles and dangles
31 for them?

32 LT. RONCSKA: We'd do speed turns. The whole
33 evolution would be the in surface. And we'd allow
34 guests come to surface, let them sit up -- under
35 supervision, let them sit at the helm on surface. And
36 then when we're ready to submerge the ship, we'd secure
37 all people as far as all the guests, as far as the
38 stations. We're doing, you know, not normal -- not
39 easy evolutions. Just steering the ship.

40 Then we'd submerge the ship and then we'd do
41 a transit. And depending on what the meal time was, we
42 would do angles and dangles and we'd do high speed
43 turns.

44 MR. WOODY: Have you ever had a daily op where
45 you took people out and brought them back to say Pearl
46 Harbor the same day?

1 LT. RONCSKA: No.
2 MR. WOODY: You talked about transit. How
3 long does it take to transit coming out of Pearl Harbor
4 and going to Maui?
5 LT. RONCSKA: It's about an eight hour trip.
6 MR. WOODY: Does your ship have any kind of a
7 bill or commanding officer instruction for handling
8 visitors, what anybody shall do?
9 LT. RONCSKA: There's no operating procedure
10 for guests or anything on board. We did have a
11 temporary standing order from the commanding officer
12 that would discuss precautions and things associated
13 with guests. For example, where they can go. They
14 wouldn't be allowed in the radio room. What they could
15 see; what the ship is telling them; where they could
16 film, and just the itinerary of where we would take the
17 guests and when, what time, what evolutions we would
18 conduct.
19 MR. WOODY: Are you aware of any fleet or
20 force instructions about guests that would be
21 applicable to a submarine?
22 LT. RONCSKA: Other than we request guests on
23 board through a message that we send -- for example,
24 for a dependents cruise or a target cruise. And it
25 comes back approved. And there's a certain format that
26 you have to put, how many guests you're going to have
27 and where you're going and how long. The only
28 restrictions that I know of for a dependents cruise is
29 that you can't have children under the age of 12 and
30 you've got to have guests off by sunset, things like
31 that.
32 So there are some restrictions. But as far
33 as restrictions as far as down in the grass of what you
34 can do with guests on board --
35 MR. WOODY: And what kind of instructions are
36 these?
37 LT. RONCSKA: They're just in the local
38 operating COMPART. And very few as far as --
39 MR. WOODY: This would be COM SUBPAC OP order?
40 LT. RONCSKA: 2000.
41 MR. WOODY: I want to thank you very much. I
42 think this concludes most of the questions I have
43 unless I think of something. And I do appreciate it.
44 LT. COMMANDER SANTOMAURO: I really only have
45 one question for you. This is Lieutenant Commander
46 Santomauro.

1 If you had just come to periscope depth and
2 you had your ESM operating, have you ever in your
3 experience had a contact operating in maximum where
4 it's on your radar, say 2,000 or 3,000 yards away and
5 not heard on your ESM?

6 LT. RONCSKA: No. Not that I know of. I
7 would assume if the radar went out, regardless of what
8 range scale they were in, you would detect it.

9 LT. COMMANDER SANTOMAURO: It would be pretty
10 amazing that the guy would be operating in say a 12
11 mile scale and maximum radar is 2,000-3,000 yards away
12 and not hear him on the ESM if it's functioning
13 properly?

14 LT. RONCSKA: Right.

15 LT. COMMANDER SANTOMAURO: That's almost
16 impossible, I would think.

17 LT. RONCSKA: I would assume so. It doesn't
18 make sense why, if they were in a long-range scale, you
19 still wouldn't be able to hear them. Because the waves
20 are so deep emitted from the platform that you still
21 would detect that wave.

22 MR. ROTH-ROFFY: Yes. Tom Roth-Roffy. I'd
23 like to follow up on that point just to clarify a
24 little bit.

25 It would probably be detected but at what
26 signal strength? At say signal strength 4 or 5, how far
27 out would you expect him to be under the circumstances?

28 LT. COMMANDER SANTOMAURO: My personal
29 opinion, I would think that you would get a strong 5 at
30 2,000-3,000 yards away. But in your opinion, what
31 would you think?

32 LT. RONCSKA: I would assume if it's 2,000-
33 3,000 yards away, you'd pick them up at a high signal
34 strength.

35 MR. ROTH-ROFFY: And I just wanted to clarify
36 that. I mean, you said that you probably would pick it
37 up.

38 LT. COMMANDER SANTOMAURO: That's the biggest
39 question in my mind. If you have a contact that close,
40 you ought to be getting side alarms, the whole nine
41 yards and you ought to have a strong steady tone and it
42 should be more than just a distraction coming out of
43 that speaker, I would think.

44 LT. RONCSKA: And you'd have two independent;
45 the early warning system that you hear on. The CON is
46 an independent system of what he can see in his WR8

1 system, independent. Even though he can hear the same
2 thing that you hear on the CON.
3 If both stations do not hear that radar, I
4 would assume if you checked out the system and it was
5 working properly, I would assume that the system was
6 turned off because you should be able to hear that.
7 LT. COMMANDER SANTOMAURO: You're assuming
8 that the radar wasn't --
9 LT. RONCSKA: Right. The radar was not on.
10 LT. COMMANDER SANTOMAURO: -- actually
11 transmitting.
12 LT. RONCSKA: Right.
13 LT. COMMANDER SANTOMAURO: Okay. Thank you.
14 LT. JOHNSON: How are you doing. Lieutenant
15 Charlie Johnson, U.S. Coast Guard. I don't have a lot
16 to ask. Bill actually covered most of the things that
17 I had over here.
18 Have you ever had a close aboard contact in
19 the past where you'd be coming to periscope depth and
20 had to order emergency deep?
21 LT. RONCSKA: There's times and places that I
22 can't mention that we were close, but we never ordered
23 emergency deep. We knew by looking out the scope that
24 we had time to get deep, to answer your question.
25 LT. JOHNSON: And you mentioned earlier that
26 you turn on your -- I didn't write it down what your
27 acronym was for it. It's basically an underwater
28 telephone. Did you say hydro phone receiver?
29 LT. RONCSKA: RACKS. It's called RACKS.
30 LT. JOHNSON: RACKS -- and listened for close
31 aboard contacts. Have you ever heard contacts over the
32 RACKS yourself?
33 LT. RONCSKA: Again, yes. You can hear
34 contacts. And again, it depends. It depends on a lot
35 of things. One is how noisy the contact is, like these
36 dirty merchants that have screws there. You can tell
37 they're following and probably dinged up. And you just
38 hear underneath the underwater telephone this (making
39 noise), even if it's close.
40 LT. JOHNSON: Do you know the range, the
41 maximum range of being able to hear a contact on that
42 RACKS system would be?
43 LT. RONCSKA: Like I said, it depends on his
44 aspect, how noisy he is, how fast he's going. And
45 probably a very, very -- a dirty merchant would
46 probably be picked up between 2,000-3,000 yards.

1 LT. JOHNSON: Do you want to define for the
2 Board -- I know what you're talking about, but for the
3 Board, what you mean by a dirty merchant?
4 LT. RONCSKA: A dirty merchant is where he has
5 severe hull growth and there's imperfections in his
6 screw which causes excessive cavitation. And
7 cavitation can be heard for long periods of time.
8 That's what I mean by dirty merchant. (Off mike.)
9 LT. JOHNSON: Where is the hydro phone for the
10 water telephone located?
11 LT. RONCSKA: There's a couple. One is on top
12 of the sail; one is beneath the ship.
13 LT. JOHNSON: On top of the sail forward, aft?
14 LT. RONCSKA: It's just in the center of the
15 sail.
16 LT. JOHNSON: In the center of the sail. And
17 the other one? I'm sorry.
18 LT. RONCSKA: Beneath the ship. It's
19 underneath.
20 LT. JOHNSON: So you have one topside --
21 basically, you only have two; one topside and one
22 bottom.
23 We talked briefly about bearing rates
24 earlier. I want to take you back to that. And you
25 made the comment that a small bearing rate would be
26 indicative of a contact with a very distance range.
27 Is there anything else that a small bearing
28 rate might tell you other than a very distant range?
29 LT. RONCSKA: It depends. If I did a
30 maneuver on the contact, significant maneuver, and he
31 didn't change his bearing rate, it's indicative that
32 the contact is distant, mostly, not close. If I didn't
33 maneuver and he had a low bearing rate, that could mean
34 anything. It could be very close, pointing at me.
35 LT. JOHNSON: On a closing course?
36 LT. RONCSKA: Right.
37 LT. JOHNSON: What would you consider an
38 adequate leg to determine that? If you're steady on
39 course, how many -- and let's just use minutes.
40 LT. RONCSKA: Once I'm steady, two to three
41 minutes.
42 LT. JOHNSON: Two to three minutes on course.
43 Is this determined through echo ranging, what we're
44 discussing here? I think we've all been through this
45 echo ranging a lot, so we're not going to go back into
46 that.

1 So is there any other information you would
2 use to determine an approximate range of a contact
3 other than the bearing rate as an officer on the deck
4 that you would draw on?

5 LT. RONCSKA: Like I said, if he came up in
6 all DE's, I would assume that he's close. It means
7 he's coming in a little different angle to the sphere.

8 Like you said, the bearing rate. Very noisy contact.
9 If I could hear him on RACKS. And if we did a ranging
10 maneuver and his bearing rate changed significantly.

11 LT. JOHNSON: Does sonar ever report to you
12 SNR levels as the officer on the deck?

13 LT. RONCSKA: Sometimes they will report that
14 the SNR is increasing. If it does increase
15 significantly, they will.

16 LT. JOHNSON: Are officers on the deck trained
17 in what the different values that they may be given,
18 what they actually mean? I know you're a sonar
19 officer; correct?

20 LT. RONCSKA: No. I'm the operations officer.

21 LT. JOHNSON: Operations officer. You
22 probably would have a better or less of an
23 understanding than your average --

24 LT. RONCSKA: It goes with your experience
25 level, the more experience you have. And you really
26 can't pinpoint the contact with an SNR. It varies so
27 different because a fishing boat that's 20,000 yards or
28 10,000 yards away could have the same SNR as a merchant
29 30,000 yards away, depending on how noisy it is. You
30 just don't know. But you can -- you can look at the
31 display of the SNR. If it's burning in, which is
32 another term. It means his trace is so back --

33 LT. JOHNSON: If I told you I had a contact
34 within minus 2 SNR, that would mean nothing to you?

35 LT. RONCSKA: It means it's not significant.

36 LT. JOHNSON: What about a plus 5?

37 LT. RONCSKA: Plus 10, plus 15, plus 20,
38 you're talking it's probably something you need to
39 watch. It's not the sole indicator of contacts but
40 just something else that you put into the equation of
41 your confidence level.

42 LT. JOHNSON: And this scale is like any
43 common scale? A minus 9 is less of an SNR than a minus
44 2 and onward?

45 LT. RONCSKA: Right.

46 LT. JOHNSON: Talked a little bit about the FT

1 of the watch and your experiences with FTs in the watch
2 and whatnot.

3 Do you see that -- and if I asked another
4 qualified and distinguished, that would be the same
5 question, so I'm just trying get a feel for it. Do you
6 see that FT of the watch as a proactive watch or a
7 reactive type watch?

8 LT. RONCSKA: It depends. Just like any, you
9 get some all stars that will tell you, hey, you've got
10 to watch out for this guy or you'll sit there and
11 you'll ask the fire patrolman what's the CPNS and he'll
12 tell you, well, it's 2,000 yards and you'll look at him
13 and say why didn't you tell me that.

14 So it depends.

15 LT. JOHNSON: Sure. And recognizing that
16 you're just one of many distinguished gentlemen that do
17 this job, I'm understanding there's no hard and fast
18 rules. But you have a good amount of sea time, time on
19 the scope, so to speak, so I'm going to rely heavily on
20 your opinion.

21 What do you expect as an OD out of your FTO
22 watch?

23 LT. RONCSKA: I expect him to, like I said, as
24 soon as the scope breaks the water, to help me get down
25 the bearings of all sonar contacts, report any contact
26 that is generating a system solution within 10,000
27 yards, especially if a CPA -- at the same time it
28 generates a system solution as a CPA block, which is a
29 close pointed approach, which will tell me how close he
30 will be at a specific time and what the time is and
31 bearing.

32 I expect him to let me know if I do an
33 observation and I actually see a visual contact and the
34 contact is in a situation where it might be a problem,
35 initially I picked him up at 20,000 yards but in no
36 time at all he can close within 10,000 yards, I expect
37 him to tell me it's been -- with that thumb line
38 discussed of range minus two is the time between
39 operations. I expect him to keep me honest and help me
40 out, back me up, and say, hey, you haven't done an
41 observation on this guy. It's time for an observation.

42 He needs to speak up and say request observation of
43 Victor 12.

44 And the same thing with the CEP. Expect him
45 to back me up, especially he backs me up if I tell him
46 -- if I don't hold a contact out of bearing, I expect

1 him to back me up and say you requested to look down
2 this bearing two minutes ago. It's been two minutes
3 from the original contact.

4 LT. JOHNSON: In your experiences, is the FT
5 of the watch also the same gentleman that manages the
6 CEP plot?

7 LT. RONCSKA: No.

8 LT. JOHNSON: He's not.

9 LT. RONCSKA: It depends. It depends on the
10 situation of where you're operating. If you're
11 operating a high contact --

12 LT. JOHNSON: Off the coast of Hawaii, let's
13 just say. Would you expect it to be manned by the same
14 person or two different individuals?

15 LT. RONCSKA: We normally have two different
16 individuals but on occasion if there's -- for some
17 special circumstances you can have one person do both.

18 LT. JOHNSON: Are you aware of how the
19 determinations are made on what personnel to leave in
20 port during VIP cruises and what individuals are taken
21 to sea? Is there any magic formula as to who we're
22 going to take, who we're going to leave, and
23 considerations for numbers or things?

24 LT. RONCSKA: No. What you do is the chief of
25 the boat proposes a watch bill of all key players. And
26 on our ship we have he submits it, the chief of the
27 boat. And it's reviewed by me, by the combat systems
28 officer, the EXO and the CO. So we have five different
29 people looking at how the ship's watch bill is going to
30 change and how that is going to affect the safety of
31 the ship. That's why we do that.

32 LT. JOHNSON: Is the CEP plot considered a key
33 player?

34 LT. RONCSKA: It is a piece of the puzzle but
35 I would not say that it's the -- we have managed with a
36 fire control, so it's a judgment call.

37 LT. JOHNSON: If you had a FT that was running
38 his electronic plots and whatnot, stacking bearing and
39 his solutions came up to say that, hey, I think this
40 guy is getting really close, sir, 2500 yards. I'm just
41 pulling numbers out of the air here. Is he required or
42 would you require him to notify you prior to changing
43 any solution on a contact that he had previously that
44 was striking in that close to you?

45 LT. RONCSKA: As far as -- your question is if
46 you wanted to change a system solution, would he notify

1 you?

2 LT. JOHNSON: Yes. He tells you he's got a
3 contact he believes is 3,000 yards. And you go up, you
4 raise the scope, swing around, and say, no, I don't
5 have anybody. I don't see anybody. Would he then just
6 go back in and reset his stuff to say, well, evidently
7 the OD doesn't see him so he's not there, so now I'm
8 going to throw him way out of the picture here or would
9 you expect him to continue to track and provide you
10 information that put him at that mark.

11 I realize this is all subjective, what you
12 would do if. But again, please understand.

13 LT. RONCSKA: The fire control on our boat --
14 that's a tough call. Looking down the bearing should
15 be truth. And if you tell the guy that you don't have
16 any contact there, you know, and he probably has on the
17 green field of the display where he can see what the op
18 spec is looking at as long as he looks down the
19 bearing.

20 And it depends on how many legs there were
21 and how confident he was in the solution. There are so
22 many variables that that's a really tough question.

23 LT. JOHNSON: Does he have the -- I guess the
24 authority or the freedom to just plug in numbers and
25 change -- without your knowledge or permission?

26 LT. RONCSKA: Yes, if he believes it's in the
27 distance, because you're preoccupied on the scope and
28 he's not going to interrupt you to take your -- you
29 know, question the system solution or go over and look
30 at it, especially if you're the only officer of the
31 deck up there.

32 So in that situation, he has the authority.

33 LT. JOHNSON: In your experience, and I know
34 you've done a lot of these VIP cruises, how many guests
35 have you ever seen crammed into a control room at one
36 time approximately. And I understand --

37 LT. RONCSKA: Probably 15 guests.

38 LT. JOHNSON: Is it confusing when this
39 happens?

40 LT. RONCSKA: I'm sure it could be if you
41 don't control it. There's times when we were anchoring
42 on the -- that we had to tell the guests to leave.

43 LT. JOHNSON: Is there a difference in having
44 -- and I have been in a control room before. It's been
45 manned by just sailors. Is there a difference in the
46 congestion level and the noise level when you're --

1 let's just say manned battle stations. Do you consider
2 manned battle stations to be when you have the most
3 people in the control?
4 LT. RONCSKA: Yes. It's very comparable.
5 LT. JOHNSON: What's the noise level, the
6 congestion level like with visitors, 16 visitors in a
7 control room vice 16 sailors manning consoles and doing
8 your general quarters type work.
9 LT. RONCSKA: And again, it depends on how
10 well you brief the visitors during special observations
11 before you actually conduct them. You make sure that
12 they keep their conversations to nothing. And it
13 depends. It depends on how well you tell the people,
14 hey, we're conducting special operations. We need you
15 to be quiet. And if you don't say that --
16 LT. JOHNSON: Are most of your people at
17 battle stations seated behind consoles and pretty much
18 tucked out of the way or are they standing around?
19 LT. RONCSKA: No. They're standing around.
20 LT. JOHNSON: Standing around.
21 LT. RONCSKA: For example, there's periscope
22 assistance. There's the video camera operator. He's
23 right there in the control room. You've got the
24 officer on deck looking at the screen. You've got the
25 captain. You have all the plot guys standing around
26 and the quartermasters and navigation supervisors.
27 It's very congested.
28 LT. JOHNSON: One last question I have here.
29 And I know that -- I've read numerous Navy, Coast Guard
30 tech manuals and instructions and things. We see in
31 the military quite often the terms should, shall, will
32 and it is recommended. Can you just very briefly touch
33 on when you as an officer see should -- you should do
34 this, what that means to you vice you shall do this or
35 what is recommended that this happen as to this will
36 happen. For the Board, could you just briefly touch
37 on the differences?
38 LT. RONCSKA: In my opinion, shall means
39 you'll do it and should means highly recommended that
40 you do it. That's basically -- shall means follow the
41 book and do what it says.
42 LT. JOHNSON: What does will mean?
43 LT. RONCSKA: I'd just put that in the same as
44 shall.
45 LT. JOHNSON: Hard, fast, in concrete this
46 will happen? End, over and out?

1 LT. RONCSKA: Right.
2 LT. JOHNSON: Okay. And it is recommended
3 that. Where does that fall in all of this?
4 LT. RONCSKA: Recommended?
5 LT. JOHNSON: Yes.
6 LT. RONCSKA: Recommended is basically how I
7 take that is in previous studies it's recommended you
8 do it this way but you don't have to, but it's the
9 preferred way to do it.
10 LT. JOHNSON: Discretionary? Like the officer
11 on deck and the captain's discretion as to whether or
12 not?
13 LT. RONCSKA: Right. Probably the officer on
14 deck would choose to not go with a recommended --
15 LT. JOHNSON: Would you consider should --
16 when you see should in an op order or an op manual,
17 should to be a discretionary thing but a little
18 stronger perhaps?
19 LT. RONCSKA: Yes.
20 LT. JOHNSON: Shall and will, there is no
21 discretion allowed with those in your understanding?
22 I just say that to clarify because that's my
23 understanding.
24 I don't have any other questions, gentlemen.
25 VOICE: Just really quick on the tech side,
26 the formula for calculating the height of eye. You
27 said the --
28 LT. RONCSKA: Height of eye equals --
29 LT. COMMANDER SANTOMAURO: I've got that.
30 VOICE: Oh, you have?
31 LT. COMMANDER SANTOMAURO: I've already got
32 that. Not to shut you down, but I was going to say
33 it's been covered.
34 MR. ROTH-ROFFY: Okay. We'll probably have to
35 come back to Lieutenant Hedrick, but I do have a couple
36 of questions. This is tom Roth-Roffy.
37 Could you talk to us a little bit about
38 arrival times, papa hotel times, and what sort of
39 pressures the ship might feel to make their schedule
40 papa hotel.
41 LT. RONCSKA: -- the op schedule specifically
42 says your papa hotel time, when you should address papa
43 hotel. And then it's based on all the other traffic in
44 the harbor and how the tugs can assist you to make sure
45 that they're not -- make sure you get in.
46 If you need to get to papa hotel at a

1 specific time, you should try to get there because the
2 worse case that's going to happen if you're late to
3 papa hotel, you call port ops at Channel 69 and say my
4 papa hotel time is whatever it is and they'll know if
5 it's late or how late you are. And then you'd come
6 back and say request permission. If they still can
7 accommodate you by entering the port at that later
8 time, they will.

9 So, the hazard is you just tell them that
10 you're there. If they can support you, they'll tell
11 you to wait out and stand fast until they can support
12 you. So there's pressure and it is professional to get
13 there when you're supposed to and on time, to say that
14 you're going to be at a specific place at a certain
15 place and time. But if for some reason you can't, you
16 just wait until the next opportunity.

17 MR. ROTH-ROFFY: So it's not as if you have
18 only one time and if you don't make that time you can't
19 come in at all for the day or whatever?

20 LT. RONCSKA: I'm sure, depending on the
21 schedule of what they have. But I'm sure they can
22 accommodate you somewhat. It might not be in the next
23 hour. It might not be in the next two hours. It could
24 be up to three hours that you'd have to wait.

25 MR. ROTH-ROFFY: So probably there is a
26 significant amount of pressure felt on the crew. Now
27 who would feel that pressure? Would it be the captain,
28 the navigator, officer on deck, to make certain papa
29 hotel arrival time?

30 LT. RONCSKA: I'm sure it would be pressure
31 around all the people involved as far as the officer on
32 deck. It's his basic concern to get there on time when
33 he's supposed to get the guests off and show that
34 you're professional.

35 MR. ROTH-ROFFY: So it is a significant
36 pressure. I mean, it's not as if it's a do or die but
37 it's, as you say, professional pride.

38 LT. RONCSKA: And again, it depends. It
39 depends why are you late. Is it because of weather or
40 -- I would suck it up and say I couldn't make it
41 because visibility was terrible or something went
42 wrong, something mechanically went wrong or something
43 that we just didn't plan right and couldn't make it.
44 So if there's a good reason for it, yes.

45 MR. ROTH-ROFFY: And who would adjust the
46 ship's core speed, et cetera, to make a certain papa

1 hotel. Would that be the officer on deck, the
2 navigator?

3 LT. RONCSKA: Normally what happens is that
4 whenever we surface or in an evolution that you need to
5 get to a certain place at a certain time, I will be on
6 my ship right next to the plot so you know exactly
7 where you need to surface, what is your required time
8 to get to the next point. And I am there talking to
9 the officer on deck. Hey, you need to come here; you
10 can get over here; you need to do this now; this is how
11 much time you have; this is your speed required once
12 you surface to get to papa -- on time.

13 So pre-planning is the key to get there. So
14 to answer your question, the navigator -- making sure
15 where you are and the specific time, being backed up by
16 the officer on deck and the captain and the EXO.

17 LT. JOHNSON: This is Lieutenant Johnson.
18 Tom, can I ask you something real quick? And
19 this is maybe for him, too.

20 My understanding is papa hotel time is set by
21 the harbor master in Honolulu, is that correct, and not
22 the Navy? I may not be correct on that. That's why I
23 wanted to ask.

24 LT. RONCSKA: Right. What happens is the
25 SUBPAC puts out the papa hotel time. It's coordinated
26 with NSSC and the harbor master.

27 LT. JOHNSON: Do they get that from the guy
28 downtown in Aloha Tower that works for the state, the
29 harbor master?

30 LT. RONCSKA: Oh, no. It's right here.

31 LT. JOHNSON: Okay. So it's a Naval?

32 LT. RONCSKA: Right. Has nothing to do with
33 Aloha Tower.

34 LT. JOHNSON: So the harbor master is not
35 involved. The civilian harbor master here is not
36 involved with it.

37 LT. RONCSKA: No. It's Pearl Harbor control.
38

39 LT. JOHNSON: Thank you. I wasn't sure.

40 MR. ROTH-ROFFY: And could you describe what
41 happens when you reach papa hotel and what the
42 significance of that is? You know, relation of tugs,
43 pilots, other things that may happen?

44 LT. RONCSKA: Sure. What you do, what we do,
45 op order 205 specifically says you don't need
46 permission to get underway as long as you get underway

1 at plus or minus a specific time by about 15 minutes.
2 You do need permission to enter a port if things change
3 frequently. A half hour prior to or 45 minutes prior
4 to papa hotel, you would call up Pearl Harbor control
5 and this is how the conversation would go.

6 We would say Pearl Harbor control, this is
7 USS ASHEVILLE, Channel 69. They'll come back and say
8 Pearl Harbor control. ASHEVILLE, this is Pearl Harbor
9 control. Roger. Over. And you'll says pearl Harbor
10 control, this is ASHEVILLE. Request to enter port on
11 time; request interfering traffic; request tug
12 assignment; pilot and berth assignment. Over.

13 And he'll come back and he'll say, Roger.
14 You have permission to enter port, papa hotel time
15 1600. Your pilot will be Peter 3, tug assignment Z 3,
16 working channel will be channel 14. Pier assignment is
17 zero 21 alpha -- And no interfering traffic. (Off
18 mike.)

19 And we'd say this is ASHEVILLE. Roger. Out.
20 And that's -- as long as you're near papa hotel at the
21 time. Doesn't have to be exactly at 1600 where you
22 have to pass through. There isn't somebody monitoring
23 you to say oh, you're two seconds late or five minutes
24 late. But you can adjust your speed after you pass
25 papa hotel to coordinate the tug assignment.

26 And once you pass papa hotel plus or minute
27 five minutes, you go into the harbor and the tug
28 usually waits for you around hospital point. In the
29 middle of the harbor there's a hospital point which is
30 near the -- the southern tip of port island. The Z tug
31 usually is stationed right there to clear the channel
32 for you.

33 Then after you make your leg into the 123 leg
34 into the harbor, he'll come alongside you then. And
35 he'd be waiting for you there south of port island.

36 MR. ROTH-ROFFY: What buoy number is that
37 approximately?

38 LT. RONCSKA: You're past the buoys. You're
39 already in the harbor. There's no tug that meets you
40 outside the buoys. In my experience, you always are
41 well within the harbor past the buoys.

42 MR. ROTH-ROFFY: And then the tug will come
43 alongside, tie up to you?

44 LT. RONCSKA: The tug will come alongside and
45 verify -- (off mike).

46 MR. ROTH-ROFFY: And do submarines, when they

1 leave and return to harbor, take pilots on board?

2 LT. RONCSKA: It's up to the CO's discretion.

3 He can determine to have the pilot come on board,
4 which is better, because he can talk to the captain and
5 the officer of the deck right there personally. But in
6 a harbor where you know a certain -- he normally stays
7 on the tugboat and coordinates the landing from the
8 tug.

9 MR. ROTH-ROFFY: So it's not typical to take a
10 pilot for a submarine in Pearl Harbor that has the home
11 port here?

12 LT. RONCSKA: Right.

13 MR. ROTH-ROFFY: I'd like to ask you again a
14 little bit more of the details of raising the radar
15 mast. And I believe you said it takes about 20
16 minutes. You have to open up the hatch. Could you
17 just go through that in a little more detail?

18 LT. RONCSKA: Sure. You have to -- once you
19 get at a specified depth and specified speed, as soon
20 as you get to periscope depth the scope breaks the
21 water. Nobody talks until you do your searches, verify
22 there's no close contacts. There's all these reports
23 coming in saying ESM contacts and sonar contacts.

24 Then if you're doing a broadcast or doing
25 whatever, there's people talking to you once you gave
26 them free rein once you say no close contacts and
27 you'll say carry on your business.

28 Then if I were to say achieve the watch or
29 dive, break rig for dive -- which is required to get to
30 the radar mast. And you'll say break rig for dive, open
31 lower bridge access hatch. So you need to get someone
32 standing by to get that. He climbs up the ladder,
33 opens the bridge access hatch and he opens the hatch.
34 You're probably talking -- after initial break the
35 water, you're talking another three or four minutes to
36 get someone in the trunk, and to open the hatch,
37 probably another two, three minutes. You're talking
38 five minutes now to actually get access to the radar.

39 Once you have access to the radar, he needs
40 to unlock the radar mast and there's also an auto-
41 locking device. There's two different locks that we
42 have on our ship to ensure the mast doesn't come up
43 when we're submerged.

44 Once that's accomplished, that takes about a
45 minute. Once that's done, you get to man the radar and
46 then he'll come down and report to the chief of watch

1 that the radar mast is unlocked. And the chief of the
2 watch will then get permission to raise the radar mast.

3 Once you raise the radar mast, it takes a
4 switch, so you're talking maybe another couple of
5 minutes. So by the time the whole thing, if everything
6 went smoothly and your emphasis was on raising the
7 radar mast, you're talking 10-12 minutes, 10 minutes to
8 get it raised.

9 And then you have to get the radar operator
10 to start rotating and radiating with their reports. So
11 if you really wanted to, you probably can get the radar
12 mast up in 10-15 minutes, after all the initial reports
13 and all the other coordination involved.

14 And once you have it up, then you're limited
15 in the ship's speed. And in the event you have to call
16 emergency deep, then your integrity of your ship is
17 lessened because you have the lower bridge access hatch
18 open, which you could potentially shut it but you don't
19 want to in the event you need to lock and go deep,
20 which you could. You'd have to train the radar for
21 lowering, which the radar operator has to secure.

22 So he has to train it. It automatically
23 trains. And then he has to lower it. Where in that
24 emergency deep procedure or in the event he didn't see
25 a contact and he calls emergency deep, which he can
26 after initial thing because the contact will pop up,
27 you just bent the radar mast because the radar operator
28 is still rotating and radiating. The chief of watch's
29 immediate action is to lower all masts. So he's trying
30 to lower this radar mast and it's still spinning
31 around.

32 The helm automatically rings up ahead full
33 and the dive automatically starts, causing the ship to
34 descend. And you just damaged the radar mast.

35 And again, that goes back to the pros and
36 cons of having the radar mast up, potentially damaging
37 it. For example, you need to increase speed and you
38 forget that the speed limit is there -- the integrity
39 of the ship where your main sensors, your visuals, you
40 have sonar.

41 And so like I said, the pros versus cons of
42 having the radar mast up compared to potentially
43 damaging it and the integrity of the ship is
44 outweighed.

45 MR. ROTH-ROFFY: Now this procedure that you
46 need to do to raise it involves pulling a pin. Has it

1 always been that way that you had to open up that hatch
2 and pull those pins since the vessel was designed?
3 LT. RONCSKA: Yes.
4 MR. ROTH-ROFFY: I think we heard something --
5 LT. RONCSKA: There's an auto-locking thing.
6 I don't know if you're getting at -- there used to be
7 this auto-locking mechanism that some of the officers
8 of the deck were not familiar. It was easily confused
9 to see if it was locked or not. And the officer on
10 deck would look at the auto-locking device. And if it
11 wasn't locked specifically or how it was designed,
12 which can be deceiving at times because they made this
13 mistake before. If it's not locked and you proceed
14 deep and you go at higher speeds, the suction forces of
15 the ocean can cause the radar mast to come up.
16 If it comes up, -- so they came up with this
17 other plan of a pin where it's obvious if it's locked
18 or not with this pin. So we have two of them now. But
19 that pin causes another 20 minutes.
20 MR. ROTH-ROFFY: So you would still have to go
21 up into the mast to disengage the auto-locking. The
22 fact that you have to put the pin in doesn't add
23 anything to the procedure.
24 LT. RONCSKA: Right. The pin is very close to
25 where the auto-locking device was -- still is.
26 MR. ROTH-ROFFY: Okay. I'd like to ask -- any
27 other questions?
28 Okay. Bill Woody.
29 MR. WOODY: Bill Woody. Were you operating
30 any time the week prior to the accident that befell the
31 GREENEVILLE?
32 LT. RONCSKA: Actually, we surfaced
33 approximately 4:00 that morning off the coast of Kuwail,
34 a small boat transfer off Kuwail. We surfaced, then we
35 submerged off Kuwail and then we conducted a submerged
36 transit off the coast of Oahu.
37 We were surfacing at approximately the same
38 time that the accident occurred, 30 miles west. And
39 approximately -- I believe it was Mike 12 or Limit 12.
40 Limit 12, Mike 12.
41 MR. WOODY: Would you characterize the sea
42 state and the visibility at that time?
43 LT. RONCSKA: The visibility that morning off
44 Kuwail was terrible. There were certain spots where
45 you couldn't see 500 yards in front of you. And --
46 which contributed to the port smith, who was also with

1 us, for entering the port late because of the
2 visibility. We couldn't transit fast enough on the
3 surface to get to their submerged point to make it to
4 the papa hotel in time. So in this case, they had to
5 come in late.

6 When we did surface that day, the visibility
7 was still -- it was overcast to my knowledge. It was
8 definitely overcast. And there may have been some
9 areas where there was visibility that was -- there may
10 have been sectors where the visibility could have been
11 obscured.

12 MR. WOODY: Would you have any difficulty say
13 seeing a white hulled ship because of the visibility?

14 LT. RONCSKA: I could definitely see that
15 because of the overcast. It was not a blue sky with
16 the sun shining. Like I said, the overcast was this
17 grayish white. The officer on deck was maybe looking
18 at the sky initially. His eyes were trained to see
19 this white grayish. And then all of a sudden he looked
20 at a white hull of the ship. I'm sure it potentially
21 could have caused a --

22 MR. WOODY: Difficulty in seeing, recognizing
23 or detecting it?

24 LT. RONCSKA: I'm sure. Because I remember
25 the sky was definitely -- it wasn't a typical Hawaiian
26 day where you see blue skies and the sun. It was
27 definitely completely overcast and it was a miserable
28 day out.

29 MR. WOODY: How was the sea state and wind
30 direction, if you can recall?

31 LT. RONCSKA: I don't remember the sea state
32 being too bad. It wasn't calm but it wasn't in excess
33 of three sea state, which you're rocking and rolling.
34 It wasn't bad.

35 MR. WOODY: It was three or less or was it
36 less than three?

37 LT. RONCSKA: I'd say it was less than two.

38 MR. WOODY: Less than two. Would it make a
39 difference three miles to the east because of depth
40 gauge or anything like that?

41 LT. RONCSKA: I doubt it.

42 MR. WOODY: Doubt it. Okay. Were you getting
43 any wave slap on your periscope when you came up at
44 periscope depth?

45 LT. RONCSKA: I don't remember.

46 MR. WOODY: Thank you very much.

1 MR. ROTH-ROFFY: Could we just get your
2 contact information, please, for the record? Name and
3 your permanent address?

4 LT. RONCSKA: Sure. You want my home address?
5 It's Lieutenant Robert Anthony Roncska. Last name is
6 spelled R-O-N-C-S-K-A, aboard the USS ASHEVILLE as
7 Navigator/Operations Officer. -- telephone number is
8 471-5638. My home address is ... Honolulu, Hawaii
9 96818.

10 MR. ROTH-ROFFY: Okay. Would you be able to
11 talk to the Safety Board at a future date concerning
12 any other questions that we may come up with?

13 LT. RONCSKA: Sure.

14 MR. ROTH-ROFFY: Okay. Just let me finish my
15 sentence and then we'll ask Lieutenant Kusano if he has
16 anything further.

17 We appreciate very much your coming down and
18 spending this time with us. Your responses were very,
19 very enlightening and very helpful to us and we thank
20 you very much.

21 LT. KUSANO: This is Lieutenant Kusano. Just
22 really quick on the papa hotel.

23 Is Friday considered a pretty busy day with
24 all the surface ships and subs are coming in after a
25 week's training?

26 LT. RONCSKA: Quite actually, I never
27 correlated. I know that Sundays are a very quiet day
28 and Saturdays. I would say that probably it is. I
29 never ever correlated Friday to be busy, but now that
30 you look back and thinking of Fridays coming in it's
31 going to be busy. It depends. But I would expect
32 Friday to be more congested than other days because of
33 the ships like to stay out for the week and come back
34 in.

35 LT. KUSANO: So more ships underway Monday for
36 training and come back on Friday?

37 LT. RONCSKA: More ships underway Tuesday,
38 come back Friday.

39 LT. KUSANO: Do they ever prioritize who comes
40 in by lineal number or just by whoever --

41 LT. RONCSKA: Quite actually, I don't how they
42 do it. I know the priority is if you are scheduled
43 first to come in at a specific time, you have priority
44 over someone that is late and come in at a subsequent
45 time. They won't push anybody back unless there's a
46 very good reason why, you have emergency repairs or

1 something like that that you have to come in right
2 away, or a VIP tour --
3 LT. KUSANO: Certain types of ships, like
4 carriers, do they get priority over subs to surface?
5 LT. RONCSKA: I've never seen that. I don't
6 know what they would do in that circumstance.
7 LT. KUSANO: That's all I have.
8 MR. ROTH-ROFFY: Okay. There being no further
9 questions, that ends our interview with Lieutenant
10 Roncska. And the time is 10:59.
11 (Whereupon, the proceedings were concluded.)